

<p style="text-align: right;">Page 1</p> <p>1 Wednesday, 12 December 2012 2 (10.00 am) 3 THE CHAIRMAN: I understand Mr McGowan is delayed, so let me 4 address those instructing him. 5 Counsel for the Commission have drawn to our 6 attention correspondence passing between them and Reed 7 Smith Richards Butler as to the timeframe in which 8 compliance is to be met for the provision of 9 documentation to counsel for the Commission and the 10 Commission itself. I have asked counsel to discuss the 11 matter with Reed Smith Richards Butler, and we'll deal 12 with the matter after the mid-morning break. 13 For everyone's information, the Commission has 14 received an application to make an opening speech and 15 has acceded to the request on behalf of those 16 representing Hongkong Electric and the crew of the 17 vessel Lamma IV. But first of all, we'll start with the 18 opening address by counsel for the Commission. 19 Can I ask everyone to bear in mind that many people 20 are listening to these proceedings through simultaneous 21 interpretation. It might assist those interpreting if 22 things are done at a slightly slower speed than might 23 otherwise be done. 24 MR SHIEH: Certainly. 25</p>	<p style="text-align: right;">Page 3</p> <p>1 criminal responsibilities. But following a casualty of 2 such tragic scale and nature, the public, especially the 3 survivors and the relatives and friends of those who 4 have lost their lives, has a legitimate interest in 5 learning the truth as to what in fact happened. Society 6 has a wider interest in understanding what lessons could 7 be learned. 8 It is against this background that the Chief 9 Executive established this Commission of Inquiry under 10 the Commissions of Inquiry Ordinance. 11 The terms of reference are well-known. The Chairman 12 read them out at the preliminary hearing and I will not 13 repeat them. 14 The purpose of this Inquiry is to carry out a full 15 and fair and transparent investigation into the relevant 16 events and to expose these facts to public scrutiny 17 without fear of scrutiny or favour. That is the purpose 18 of every public inquiry. 19 But I must emphasise, as the chairman has, that it 20 is not the function of this Inquiry to establish civil 21 liability or to consider whether any criminal offence 22 has been committed. It is not in the public interest 23 that this Commission should do so. Civil liability is 24 the role of civil courts, and it may involve arguments 25 of law and facts which are not appropriate for</p>
<p style="text-align: right;">Page 2</p> <p>1 Opening submissions by MR SHIEH 2 MR SHIEH: Mr Chairman, Mr Commissioner. 3 On 1 October 2012, at about 8.20 pm, near Lamma 4 Island, a ferry called Sea Smooth and a launch called 5 the Lamma IV collided. The Sea Smooth remained afloat 6 and proceeded to Yung Shue Wan, but the Lamma IV sank 7 within minutes, stern-first, with the consequential loss 8 of 39 lives. 9 This was the worst marine tragedy in Hong Kong in 10 40 years. The whole of Hong Kong was in mourning in the 11 days that followed, and the city witnessed 12 an unprecedented display and outpouring of public grief. 13 For many survivors, the healing process is 14 continuing and I am sure that everyone involved in this 15 Inquiry, and indeed the people of Hong Kong, will join 16 me in wishing that the survivors and their family and 17 their friends can recover quickly from any trauma and 18 bereavement following this incident with strength and 19 courage. 20 In Hong Kong, following any significant casualty, 21 the machinery of justice can be expected to run its 22 usual and normal course. Investigations by law 23 enforcement agencies may ensue, and civil 24 responsibilities will need to be addressed and resolved. 25 The courts will be the ultimate arbiter of any civil and</p>	<p style="text-align: right;">Page 4</p> <p>1 an inquiry of this nature; and criminal investigation 2 and prosecution is within the province of the Police and 3 the Director of Public Prosecutions. If a prosecution 4 is indeed brought, then determination of guilt is for 5 the criminal courts exclusively. 6 The express terms and direction of the terms of 7 reference and the notice of appointment expressly make 8 this clear, that the determination of civil and criminal 9 liability shall be outside the terms of reference. 10 But the Commission's report could well subject 11 persons to criticism, and the report may also make 12 recommendations, which could have long-term effect as to 13 the way in which persons or Government departments 14 conduct themselves in future. So there is a duty of 15 fairness to these parties who may be affected, and leave 16 to participate by legal representatives has been given 17 to various involved parties. 18 I am appointed as counsel to the Commission of 19 Inquiry and assisted by Mr Roger Beresford on my right, 20 and Mr Mike Lui, behind Mr Beresford, on the 21 instructions of Messrs Lo & Lo. 22 Counsel to the Commission of Inquiry have five 23 principal functions: 24 (1) to assist and liaise with the Commission in 25 relation to the preliminary and administrative matters</p>

<p style="text-align: right;">Page 5</p> <p>1 associated with the Inquiry; 2 (2) to consider with the Commission whether, and if 3 so what, lines of inquiry should be pursued; 4 (3) to consider and decide what evidence is to be 5 adduced before the Commission; 6 (4) to question witnesses at oral hearings; 7 (5) to make submissions to the Commission on the 8 subject matter of the Inquiry, on law and on the 9 evidence. These submissions will be made openly and 10 there will be opportunities for other involved parties 11 to comment on them, but we must stress that it is 12 entirely a matter for the Commission whether to accept 13 or reject our submissions or indeed the submissions of 14 any other party. 15 The ultimate task of compiling the report to the 16 Chief Executive is exclusively that of the Commission. 17 I must emphasise that our role is not that of 18 a prosecutor, who has a particular case to prove against 19 particular parties. In considering what evidence to 20 call, or what lines of inquiry to pursue, or what 21 questions to ask in the course of this hearing, we are 22 not constrained by any preconceived bias or perceptions 23 in favour of or against any particular party or any 24 particular cause. 25 The procedure of this Inquiry is inquisitorial in</p>	<p style="text-align: right;">Page 7</p> <p>1 view of the Commission on any matters of controversy. 2 The Commission was appointed on 22 October this year 3 and prior to commencement of its public hearing, it has 4 been collecting a substantial body of materials, 5 principally from three sources: the Police, the Fire 6 Services Department and Mardep. 7 I have listed out in my written openings the sort of 8 materials obtained from these various sources. 9 Significantly the Police materials consist of police 10 statements given by passengers on various vessels -- 11 Lamma IV, Sea Smooth, Lamma II -- and other what I may 12 call bystanders or other witnesses who had relevant 13 information to give; voice records of 999 calls; FSD 14 officers' statements; and various other miscellaneous 15 documents, like photographs, information about the 16 deceased, et cetera, and police notebooks and documents 17 seized from the owners. 18 Mardep has provided photographs and importantly 19 a DVD containing video and audio records of vessel 20 movements and communications captured by the system at 21 what's called the Vessel Traffic Centre, VTC. Mardep 22 also provided various documents about the vessels in 23 question, certificate and licences, plans, drawings, 24 matters of that nature. 25 The Fire Services Department has provided records</p>
<p style="text-align: right;">Page 6</p> <p>1 nature, meaning investigative in nature, and so lines of 2 inquiry and potential allegations or criticisms against 3 particular persons could very well change as and when 4 items of evidence are unearthed, presented, bolstered or 5 discredited in the course of the hearing. But the 6 Commission will endeavour at all times to make sure that 7 persons potentially subject to criticism are always 8 afforded a fair opportunity of dealing with any 9 potential adverse comments. 10 Mr Clive Grossman SC, and Mr James McGowan, on the 11 instructions of Reed Smith Richards Butler, represent 12 the owners and crew of the Lamma IV. Mr Charles Sussex 13 SC, now on my left, two seats to my left, together with 14 his learned junior, Mr Richard Zimmern, behind him, 15 represent the owners and crew of the Sea Smooth on the 16 instructions of solicitors Messrs Holman Fenwick Willan. 17 Mr Johnny Mok SC, together with Ms Eva Sit and 18 Frances Lok, to my far left, represent the interests of 19 the Marine Department, shortform "Mardep"; the Fire 20 Services Department, FSD; and the Commissioner of 21 Police, on the instructions of the Department of 22 Justice. 23 I make this opening address as counsel for the 24 Commission, but I should emphasise that what I say must 25 not be understood or taken as expressing or implying the</p>	<p style="text-align: right;">Page 8</p> <p>1 about responses that evening, about emergency services 2 and the rescue mission, and the Commission also obtained 3 various charts from the Hydrographic Office and also 4 weather information, visibility reports, originating 5 from the Hong Kong Observatory. 6 The Commission has appointed two experts. One is 7 Captain Nigel Robert Pryke, an Elder Brother of Trinity 8 House in London. He was appointed on 19 November to 9 compile reports to assist the Commission in discharging 10 its duties under the terms of reference. 11 Captain Pryke provided his first report on 12 4 December. Over the weekend, Captain Pryke signed off 13 a supplemental report, which was given to the parties on 14 Monday, 10 December, consequential upon further 15 documents supplied by the Department of Justice on 16 behalf of Mardep, consisting of radar track records 17 generated by equipment in Mardep. 18 On 6 December, the Commission further appointed 19 another expert witness, Dr Anthony Armstrong, who is 20 a fellow of the Royal Institute of Naval Architects, to 21 assist the Commission in discharging its duties. He 22 will address issues of ship construction, and he will be 23 providing his written report in due course. 24 The Chief Executive set a particular timeframe in 25 the terms of reference when appointing the Commission,</p>

<p style="text-align: right;">Page 9</p> <p>1 and while the Commission's efforts to collect relevant 2 materials will continue, it proposes to start taking 3 oral evidence in this Inquiry now, with the immediate 4 focus on the first item in its terms of reference, 5 namely the causes of the incident. That can 6 conveniently be divided into two questions: (i) why did 7 the collision occur? And (ii) why did the Lamma IV sink 8 so quickly? 9 Before I commence adducing evidence, it would assist 10 the Commission and the public to have a broad overview 11 of the facts and events surrounding the Commission 12 insofar as they are relatively free from controversy. 13 We should all see a chart on the monitor in front of 14 us. The first point to note is an area on Lamma Island 15 called Shek Kok Tsui. Shek Kok Tsui is a point at the 16 north-west extremity of Lamma Island. There is a reef 17 with a rock near Shek Kok Tsui, and there is a white 18 light beacon, a white tower, about 1 cable, which is 19 one-tenth of a nautical mile, north-west from that 20 point. That light or light beacon is sometimes 21 colloquially referred to as the Shek Kok Tsui 22 "lamppost", the "(Chinese spoken)". 23 Yung Shue Wan is entered between Shek Kok Tsui and 24 the Lamma Island Power Station, 9 cables to the south. 25 There is a small typhoon shelter on the north side of</p>	<p style="text-align: right;">Page 11</p> <p>1 evening. 2 I shall now endeavour to give a brief summary of the 3 sequence of events, again insofar as they are relatively 4 free from controversy. 5 In the evening of 1 October, the 8 o'clock ferry 6 departing from Central to Yung Shue Wan was the Sea 7 Smooth. According to the radar data, she was under way 8 by 8.04 pm at the latest. She was carrying four crew 9 members and at least 62 passengers. Two of Hongkong 10 Electric's launches, the Lamma II and the Lamma IV, took 11 off from the typhoon shelter shortly thereafter to take 12 the Hongkong Electric staff and their families and 13 friends to watch the National Day fireworks in the 14 Harbour. 15 Lamma IV cleared her berth at the Lamma Power 16 Station typhoon shelter at about 8.16. It had three 17 crew members and was carrying 127 passengers, including 18 the crew. By the time the Lamma IV cleared her berth 19 and was underway, the Sea Smooth was well within two 20 nautical miles of the Lamma IV. By 8.17, they should 21 have been within sight of one another by radar and also 22 visually. 23 At about 8.20 pm, off Shek Kok Tsui, the Sea Smooth 24 collided with the Lamma IV. After the collision, the 25 Sea Smooth disengaged from the Lamma IV, leaving part of</p>
<p style="text-align: right;">Page 10</p> <p>1 Lamma Power Station. The power station is owned by 2 Hongkong Electric. 3 There is a ferry pier in the south part of that bay, 4 by the village. There's a ferry service between Central 5 and the Yung Shue Wan ferry pier, and that is operated 6 by Hong Kong & Kowloon Ferry Holdings Ltd. On public 7 holidays in the evenings, the ferry service runs at 8 half-hourly intervals. 9 North-west of Shek Kok Tsui there is the north-west 10 Lamma anchorage. And some ships were anchored there in 11 the evening of 1 October. 12 On the island of Kau Yi Chau, for which we may have 13 to move slightly away from the current chart -- it's 14 further up. On the island of Kau Yi Chau, 3.3 nautical 15 miles north-west of Shek Kok Tsui, there is a radar 16 station. There is a digital radar surveillance system 17 together with remote long-range daylight camera and 18 a remote thermal imager, which I understand was 19 responsible for capturing certain images and radar 20 signals that evening. 21 According to information supplied by the Hong Kong 22 Observatory on 1 October between 8 and 9 pm, visibility 23 was clear, wind was light, and the tide off west Lamma 24 was flowing north. But it appears that neither weather 25 nor tide appear to have been material to navigation that</p>	<p style="text-align: right;">Page 12</p> <p>1 its port bow in the port side of the Lamma IV. It 2 proceeded to Yung Shue Wan. The Lamma IV sank 3 stern-first within a few minutes of the collision. 4 The Commission has obtained records of the 999 calls 5 that were made, and I should say that we are considering 6 producing the logs of these 999 calls to assist the 7 Commission. 8 The evidence will show that the first timed 999 call 9 was at about 8.21 pm from a passenger on board the 10 Lamma IV. It would appear from subsequent 999 calls 11 that the Lamma IV sank in less than five minutes. The 12 Fire Services Department in its investigation report, in 13 its incident summary, put the place where the Lamma IV 14 submerged at 22 degrees 14.161N and 114 degrees 6.159E. 15 The vessel came to rest almost vertically with its 16 bow and forward section protruding above the water. And 17 many persons on board the Lamma IV fell into the sea or 18 were trapped inside the vessel. 96 people from the 19 Lamma IV were rescued from the sea and the wreckage by 20 various rescue teams, the Fire Services Department, the 21 Police and nearby vessels. Nine persons were injured on 22 board the Sea Smooth and they were conveyed by the Sea 23 Smooth to the Yung Shue Wan pier. 24 Unfortunately, 30 bodies were found in and around 25 the wreckage of the Lamma IV, the last victim being</p>

<p style="text-align: right;">Page 13</p> <p>1 located and removed at around 5.10 pm the next day. 2 Eight more persons were certified dead upon arrival at 3 hospitals and a girl was certified dead on 5 October. 4 A total of 39 people on board the Lamma IV are known to 5 have died. Eight of them were children. 6 Among the mass of materials collected by the 7 Commission, a category of evidence is of particular 8 significance and that is radar and electronic records of 9 vessel movements which will be produced by witnesses 10 from Mardep and also the Police, which show the track 11 and speed of the two vessels leading up to the 12 collision. Such evidence, more specifically, includes 13 live radar images captured by radars. Radar information 14 is sometimes supplemented by information derived from 15 what's called the AIS transponder system transmitting 16 from vessels which carry such a system. 17 In our case, AIS information is available for the 18 Sea Smooth but not available for the Lamma IV, because 19 the Lamma IV was not equipped with the relevant 20 equipment. 21 From this raw data coming from the radars, equipment 22 in Mardep and equipment in the Marine Police have each 23 produced their own track reports, in text and numerical 24 form, showing the speed, the position and the course of 25 each vessel from the time of departure until the time of</p>	<p style="text-align: right;">Page 15</p> <p>1 assessment of the cause of the collision. 2 After what one may call the technical evidence and 3 the expert evidence, the Commission will proceed to 4 present evidence from passengers on the vessels -- 5 Lamma IV, Sea Smooth, and also Lamma II -- who 6 experienced or witnessed the incident first-hand. 7 Over 100 passengers from Lamma IV, Sea Smooth and 8 Lamma II have been interviewed by the Police, but the 9 Commission does not propose to call all of them as 10 witnesses. The counsel team and solicitors have 11 selected passengers from the three vessels with a view 12 to presenting a fair view of what those on board the two 13 vessels that evening, as well as those on board the 14 Lamma II, have or have not seen, have or have not felt, 15 have or have not heard. In particular, for Lamma IV 16 passengers, we have tried to call witnesses from 17 a variety of locations, from various decks and various 18 sides, so as to give as full a picture as possible as to 19 the events on board the vessel that evening. 20 These witnesses will be expected to give evidence on 21 certain areas which would be of interest to the 22 Commission and to the public. For example, whether 23 there had been safety demonstrations and warnings given 24 on board, especially the Lamma IV, prior to her 25 departure; whether any sound signals were sounded by any</p>
<p style="text-align: right;">Page 14</p> <p>1 the collision. We will be calling witnesses from Mardep 2 and the Police to explain the operation of their 3 respective systems and to assist in the interpretation 4 of the records they produced as the Commission's first 5 witnesses. 6 After the witnesses from Mardep and the Marine 7 Police, the Commission will, before proceeding to call 8 Captain Pryke, call a technical witness who is 9 responsible for the equipment. It's a company called 10 HITT. The relevant witness will be expected to testify 11 probably tomorrow. He is responsible for the radar 12 system, supplying the radar system to Mardep and also to 13 the Marine Police. The purpose of calling this witness 14 after the Marine Police and the Mardep witnesses is to 15 explain the possible reason for certain differences in 16 figures in the track reports generated by the systems in 17 Mardep and in the Marine Police. 18 After this witness, the Commission will proceed to 19 call Captain Pryke, the expert, to comment on the raw 20 data and the track records and to offer his explanation 21 and opinions about the cause of the collision. Captain 22 Pryke will also be giving his opinion as to whether the 23 discrepancies in figures between the track reports 24 generated by Mardep and the track reports generated by 25 the Marine Police are such as to materially affect his</p>	<p style="text-align: right;">Page 16</p> <p>1 vessels or heard by any passengers prior to the 2 collision; the reaction of the crew members on the two 3 vessels in the immediate aftermath of the collision, 4 what might or might not have been said; the physical 5 state of the decks and seats on board the Lamma IV after 6 the collision; also, the situation about life jackets on 7 the vessels, in particular on Lamma IV, about the 8 absence of children's life jackets and also about the 9 ease or difficulty with which life jackets could be put 10 on; and also the chaotic scene that ensued inside the 11 Lamma IV when she began to sink. 12 This is perhaps as good a juncture as any to 13 introduce hopefully some uncontroversial photographic 14 evidence in relation to the two vessels and bring out 15 one point which hopefully, again, should be relatively 16 uncontroversial. 17 Perhaps I should now start with the photo of the Sea 18 Smooth. That depicts that part of the Sea Smooth, the 19 port bow, which struck Lamma IV. The first three 20 photographs are all of the Sea Smooth. 21 The next photograph -- again, it's a closer version 22 of the Sea Smooth. This is taken from the front, and 23 one can see the port bow of the Sea Smooth being 24 damaged. 25 Then I shall move on to photographs of the Lamma IV.</p>

<p style="text-align: right;">Page 17</p> <p>1 That represents the port stern of the Lamma IV, where 2 one can see the damage done to the port stern, the open 3 deck. 4 This represents the open deck of the Lamma IV. One 5 can see the damage on the deck. 6 This depicts that part of Lamma IV consisting of two 7 holes where it was perforated below the water line. One 8 can see the two holes. No doubt evidence will be 9 adduced, technical evidence, expert evidence, as to the 10 significance of these openings and the cause of sinking. 11 This is a photograph of what one may call the upper 12 deck. One can see from the floor signs where seats were 13 originally located. As I said, it should be reasonably 14 free from controversy that when the Lamma IV began to 15 sink, some seats, a number of seats on the Lamma IV, on 16 the upper deck, which is what we are looking at, became 17 detached from the floor and flew off. Some passengers 18 are expected to describe this and explain what 19 difficulties this caused to them when they were trying 20 to escape from the Lamma IV, even with their life 21 jackets on. 22 This shows the loose screw. This is where the seats 23 were supposed to be screwed to the floor. That's where 24 they fell off and became detached. 25 That again is a photograph showing where seats were</p>	<p style="text-align: right;">Page 19</p> <p>1 when things happened. That will hopefully assist in 2 identifying the point in time when the Lamma IV began to 3 sink, and finally sank. 4 The significance of the rescue witnesses, especially 5 those from the Police and the Fire Services Department, 6 is that they produce first-hand evidence as to the 7 actual situation in the Lamma IV after it had sunk and 8 while they were carrying out the rescue mission. In 9 a way, this evidence would have been given by passenger 10 witnesses but the rescuers' evidence will supplement 11 that by explaining the difficulties that they 12 encountered in carrying out their rescue mission. 13 They would also describe the locations where dead 14 bodies were found, and that could assist in ascertaining 15 whether the deaths could have anything to do with the 16 physical state of the vessel, especially the fact that 17 seats had fallen off and become detached and possibly 18 trapping passengers who were trying to escape. 19 After such evidence, the Commission proposes to 20 recall Captain Pryke to give evidence on what one may 21 call part 2 of the Commission's terms of reference: 22 matters concerning ship safety and harbour management. 23 It will also call its second expert, Dr Anthony 24 Armstrong, to deal with issues of ship construction 25 which will be relevant to why the Lamma IV sank so</p>
<p style="text-align: right;">Page 18</p> <p>1 originally supposed to be, and what the area looked like 2 after the seats became detached; all one can see are 3 screwholes on the floor. 4 That is one row of seats remaining in the upper 5 deck. 6 The process I have described so far, of calling 7 technical witnesses, expert witnesses, and also 8 passenger witnesses, is likely to take the Inquiry 9 beyond the Christmas break. 10 Hopefully what may be called the technical evidence, 11 about the radar signals, the track reports, and the 12 expert evidence will be completed before Christmas, 13 obviously subject to any application to defer 14 questioning by the other involved parties, which they 15 have flagged. 16 Passenger witnesses will begin to be called before 17 the Christmas break and continue after the break. 18 After the passenger witnesses, the Commission 19 expects to call another category of witnesses who were 20 witnesses involved in the rescue mission, from various 21 Government departments -- the Marine Police and the FSD, 22 for example. 999 telephone recordings are also expected 23 to be produced, and it would portray the immediate 24 reaction of those on board the Lamma IV, as well as the 25 contemporaneous situation on board the Lamma IV as and</p>	<p style="text-align: right;">Page 20</p> <p>1 quickly, and also the terms of reference concerning the 2 current system of harbour management and inspection of 3 ships. 4 Then, subject to any question of recalling of 5 witnesses for questioning, subject to any possible 6 further lines of inquiry, the involved parties will have 7 the opportunity of giving evidence and calling their own 8 witnesses. 9 One question that has arisen is whether the crew 10 members will testify. Under the Ordinance, the 11 Commission has the power to compel witnesses to testify, 12 and that power in our Commission covers involved persons 13 as well. It covers such persons even though they may be 14 or have already been charged with criminal offences. 15 The Commission has the power to compel their attendance. 16 So, irrespective of whether they volunteer themselves, 17 it always remains an option for the Commission to issue 18 witness summonses to compel their attendance to testify. 19 But in that event, under the procedure laid down by 20 the Commission last week, the evidence of such involved 21 persons will be led by their counsel. The same 22 considerations will apply to witnesses and officers of 23 the corporate involved parties, namely the two owners, 24 and also to Mardep, who is also an involved party. They 25 are expected to be able to give evidence about safety</p>

<p style="text-align: right;">Page 21</p> <p>1 arrangements and management of vessels as well as 2 harbour management. Again, irrespective of whether the 3 corporate involved parties and Mardep volunteer such 4 witnesses, the Commission has the power to compel their 5 attendance before the Commission, to testify. But these 6 are matters which will no doubt be a matter of liaison 7 between the counsel, legal representatives, and the 8 lawyers for the various involved parties, and the 9 Commission will hear in due course. 10 So, subject to any matters that the Commission may 11 raise with me or may ask me, that completes my opening 12 address for the Commission. 13 THE CHAIRMAN: Thank you very much, Mr Shieh. 14 Mr McGowan, I see you're in the back of the hearing 15 room. Would you come forward. 16 MR McGOWAN: Thank you. 17 THE CHAIRMAN: I understand you had a court commitment 18 elsewhere. 19 MR McGOWAN: Yes. It started at 9 and unfortunately ran on, 20 Mr Chairman. 21 Mr Chairman, I am, as I think everybody is aware, 22 representing both Hongkong Electric and the crew of the 23 Lamma IV. The crew of the Lamma IV are employed by 24 Hongkong Electric. 25 I wish to, on behalf of the managing director of</p>	<p style="text-align: right;">Page 23</p> <p>1 We are also greatly moved by the prompt, efficient 2 and unreserved support from the hospitals and medical 3 services to save precious lives and to care for the 4 injured; the community, for various expressions of 5 condolence and support, be they memorial gatherings, 6 floral tributes, sympathy cards, condolence messages, 7 donations or other generous and thoughtful gestures; the 8 Li Ka Shing Foundation, for its emergency financial 9 assistance to the victims' families; and our staff, for 10 standing together to support each other through these 11 difficult and critical times. We are incredibly touched 12 by the overwhelming outpouring of sorrow, support, 13 sympathy and succour. We have truly seen, and 14 benefitted from, the best side of Hong Kong people, and 15 we owe all of them our greatest gratitude and respect. 16 We, Company and Staff together, are also doing our 17 utmost to help those affected. Following the incident, 18 our staff were immediately in close and continuing 19 contact with the affected passengers and their families 20 to offer appropriate assistance and support. Emergency 21 financial relief provided by our Company, and those we 22 identified as having particular needs were assisted and 23 supported in their applications for specialist 24 referrals. Professional counselling services were 25 offered and provided to our staff as appropriate.</p>
<p style="text-align: right;">Page 22</p> <p>1 Hongkong Electric, Mr Tso Kai-sum, address yourselves 2 and indeed those attending the Inquiry. Mr Tso has 3 written a letter to yourself, sir, and it reads as 4 follows: 5 "On 1 October 2002 our company, HK Electric's ferry, 6 Lamma IV, manned by our own employed, and carrying our 7 own staff, their families and friends, to the National 8 Day Fireworks Display, was hit by the high speed ferry 9 Sea Smooth near Lamma Island. Very sadly, 39 of those 10 onboard died and many others were injured. Our 11 management, staff, and our families are all deeply 12 saddened by this terrible tragedy. We wish once again 13 to express our condolences to the families and friends 14 of all the deceased and injured. 15 Whilst the last months have been a time of grief and 16 sorrow, we are greatly encouraged by the remarkable care 17 and support from the Government, the community and our 18 staff. Our management and staff appreciate the immense 19 efforts by the Government's rescue team to mobilise all 20 available resources to save as many lives as possible, 21 and all other departments involved for the various 22 supporting services in the aftermath. We are 23 particularly grateful to those who risked their own 24 lives and personal safety in their endeavours to help 25 our people that night.</p>	<p style="text-align: right;">Page 24</p> <p>1 A public donation drive was also initiated by 2 HK Electric and implemented with support from a number 3 of charitable and commercial organisations to channel 4 the community's financial support to those in need -- we 5 are extremely grateful to, and touched by, the 6 generosity of all those who, together, have contributed 7 over HK\$6.3 million. 8 We are able to inform both the Commission and the 9 people of Hong Kong that all those hospitalised have 10 been discharged, and most of our staff members have 11 returned to work. Our support for all our affected 12 staff continues. 13 We acknowledge, however, that whilst physical 14 injuries may heal quickly, emotional and psychological 15 traumas may continue for far longer. We sincerely hope 16 that all affected will recover from their shock and 17 distress in due time, and 'move on'. 18 We, as a Company and an Employer, accept that 19 questions as to the what, why and how it happened on 20 1 October 2012, are a very necessary part of this 21 healing process. It is most important that those 22 affected, directly or indirectly, should be given the 23 answers. Equally, the lessons to be learnt from this 24 tragedy must be identified, and the appropriate measures 25 taken to prevent recurrence. Meanwhile, we are</p>

<p style="text-align: right;">Page 25</p> <p>1 reviewing our own procedures to see how we can best 2 improve our company practices, with particular focus on 3 the security and safety of our passengers, our ferries 4 and our arrangements for company events, with emphasis 5 on our preparedness for, and response to, times of 6 crisis and emergency. 7 The Appointment and now Opening, of this Commission 8 of Inquiry, are therefore the most significant and 9 critical steps [in this process]. 10 HK Electric welcomes the opportunity to participate 11 in these Hearings, pledges to co-operate fully with the 12 Commission, and will do whatever we can to assist in the 13 Inquiry. Those who have lost their lives and suffered 14 injuries, their families and their loved ones, deserve 15 no less." 16 As I've said, Mr Chairman, that's signed by the 17 managing director of Hongkong Electric. 18 Thank you. 19 THE CHAIRMAN: Thank you, Mr McGowan. 20 Mr Shieh? 21 MR SHIEH: Mr Chairman, Mr Commissioner. Without further 22 ado, could I call the Commission's first witness, from 23 the Marine Department, Mr Yim Kit-ming. 24 THE CHAIRMAN: May I ask the interpreter, would you mind 25 vacating that seat so that the witness can sit there,</p>	<p style="text-align: right;">Page 27</p> <p>1 Willan about these matters and also we will be I think 2 consulting and conferring with the Department of Justice 3 as well, because various matters -- because they may 4 have their input as to what documents they do not wish 5 to be disclosed. But subject to any input by the 6 Department of Justice and subject to us taking away 7 matters in bundle J, for example, information about the 8 deceased, and other matters such as employment records 9 seized from the owners, we will be giving soft-copy 10 documents to the involved parties. 11 THE CHAIRMAN: Yes. 12 MR SHIEH: Hopefully that will ease any future concern. 13 THE CHAIRMAN: Thank you. We hope counsel can reach 14 agreement amongst themselves on this issue. 15 Now, Mr Yim, may I ask you to take the oath or the 16 affirmation. 17 MR YIM KIT-MING (affirmed in Puntì) 18 (All answers via interpreter unless otherwise indicated) 19 MR SHIEH: Could I ask whether Mr Yim is going to give his 20 evidence in English or Puntì? His statement is in 21 English, and therefore if he proposes to give evidence 22 in English. Conventionally -- 23 THE CHAIRMAN: It's a matter for you, Mr Yim, whether you 24 give evidence in Cantonese or English. 25 A. (In English) I prefer to give ...</p>
<p style="text-align: right;">Page 26</p> <p>1 and if she would be kind enough to occupy the other 2 seat. It's just to make it easier for line of sight for 3 the Commissioners to see the witness. 4 There will, of course, be a short delay, will there 5 not, Mr Shieh, because the witness room is on a lower 6 floor? 7 MR SHIEH: Yes. The waiting area for the witnesses. 8 THE CHAIRMAN: Yes. 9 MR SHIEH: Mr Chairman, Mr Commissioner, perhaps I can make 10 use of this opportunity to deal with something about the 11 hearing bundles which has been raised by Messrs Holman 12 Fenwick Willan. 13 Yesterday in the afternoon, there was a request for 14 hard-copy bundles to be supplied. For practical 15 reasons, it would not be feasible for numerous copies of 16 hard-copy bundles to be supplied. What we suggested, 17 and I've had a word with Mr Sussex about it, is for 18 soft-copy versions of all the documents that the 19 Commission has received, subject to matters which were 20 decided to be entirely irrelevant and which contained 21 personal data and information which as a matter of 22 sensitivity and also to protect those other persons, 23 such as the deceased and also employees of the company 24 and all that, will be taken out. 25 We will be liaising with Messrs Holman Fenwick</p>	<p style="text-align: right;">Page 28</p> <p>1 A. I prefer to give evidence in Cantonese. 2 THE CHAIRMAN: Very well. It may well be that when you come 3 to technical terms, you'll want to use English terms. 4 Feel free to do so if that makes it easier. 5 A. I understand. 6 THE CHAIRMAN: Yes, Mr Shieh. 7 Examination by MR SHIEH 8 MR SHIEH: Mr Yim, you have previously signed off and 9 provided a statement dated 28 November 2012. Do you 10 have that in front of you? 11 For the record, it is in what's called the marine 12 bundle 8, page 1873. 13 A. Yes. 14 Q. That witness statement will be projected onto the 15 monitor. 16 It contains five pages, and your signature appears 17 at page 1877, the last page. 18 A. Yes. 19 Q. Can I just tell you what I propose to do with your 20 evidence. Subject to anything you may wish to correct 21 or amend in your witness statement, I'm going to ask you 22 whether you confirm the contents, because it contains 23 a good deal of technical matters and I'm not going to 24 read it all out into the record. After that, I will 25 identify particular areas on which I may require your</p>

<p style="text-align: right;">Page 29</p> <p>1 specific assistance in giving further elaborations or 2 explanations. 3 A. I understand. 4 Q. Could I just ask you, before you came here to give 5 evidence, have you had a chance of refreshing your 6 memory by looking at what you have said in your witness 7 statement? 8 A. Yes. 9 Q. Is there anything you wish to correct or amend in this 10 statement? 11 A. Yes. 12 Q. Can you tell us what those areas are? 13 A. On page 4 -- 14 Q. That's in the bundle page 1876. Yes? 15 A. Yes. In about the middle of the page, in line 2, the 16 words, the characters "SOG" have been typed twice. In 17 fact the first "SOG" should be amended to "COG". 18 Q. Right. So it reads "COG SOG Length in metres"? 19 A. It should be "COG SOG" -- 20 Q. "Length in metres". 21 Any other matters requiring correction? 22 A. No. 23 Q. Do you confirm the contents of this statement as your 24 evidence before this Inquiry? 25 A. Yes.</p>	<p style="text-align: right;">Page 31</p> <p>1 Q. You talked about 13 radars located at different radar 2 sites which perform the task of detecting and locating 3 targets. 4 A. Yes. 5 Q. Is there any division of labour among these radars? For 6 example, for the incident in question on 1 October, 7 would the area in question be within the province of 8 responsibility of a particular radar located at 9 a particular place? 10 A. Yes. There is a division of labour among the radars, 11 because they are located in different locations within 12 the Hong Kong waters. So, depending on the location on 13 the Hong Kong water of this particular target, it might 14 be detected or tracked by one or two or three radars. 15 When the Sea Smooth was heading from the Central Pier, 16 it could be detected by the radar on the rooftop of the 17 VTC. But when it proceeded to Lamma Island, it could be 18 detected or tracked by the radars on Lantau Island or 19 Kau Yi Chau. 20 At the site of the incident, it would be tracked or 21 detected by the radars at Kau Yi Chau and Shek Kwu Chau. 22 Q. Let's say if the same target is detected by two radars 23 from different locations, would each radar then generate 24 its own data concerning the location, speed and course 25 of that target?</p>
<p style="text-align: right;">Page 30</p> <p>1 Q. There are a number of areas on which I would like your 2 assistance in elaborating or explaining. 3 You at the material time, 1 October and now, work in 4 the Vessel Traffic Centre of the Marine Department; is 5 that correct? 6 A. Yes. 7 Q. The premises, the office, the location of that centre is 8 in Shun Tak Centre, Sheung Wan? 9 A. Yes. It is located on the outer ferry pier of the Macau 10 Ferry wharf at Shun Tak Centre. 11 Q. I shall call it the VTC. The VTC operates a vessel 12 traffic services system; correct? 13 A. Yes. 14 Q. In your witness statement, on the first page, at the 15 bottom, it describes the six components of the system. 16 The first subsystem is called the radar subsystem. 17 A. Yes. 18 Q. In layman terms, a radar sensor or the signal hits 19 a target and then comes back and is received back by the 20 radar, and by this process of continuously sending out 21 signals, hitting a target and coming back, the radars 22 will be able to form a pattern of signals which will 23 identify where a target is or the way it's moving. 24 That's a rather layman way of explaining it; right? 25 A. Yes.</p>	<p style="text-align: right;">Page 32</p> <p>1 A. Yes. 2 Q. In the various track reports which you have commented 3 on, there are numerous figures giving the longitudinal 4 and latitudinal measurements, et cetera, how would one 5 be able to know which radar those had emanated from? Or 6 does it matter, because they are supposed to be the 7 same? 8 A. Each radar, when it tracks to certain target, it will 9 emanate its own track data which would be sent to the 10 central processor at the Centre. There is the software 11 in the central processor. It will compare the data 12 emanated from different radars, and choose from it the 13 most reliable data and then show it up in the track 14 data. Whether -- it doesn't really matter from which 15 radar it was sent, because as long as the radars detect 16 a certain target, the data shown should be more or less 17 the same. It's only that some radars, the data shown 18 will be less stable and some will be more stable. So 19 some of it will be showing better track quality. 20 Q. So from the track print-out that the -- whether the 21 Marine Department produced it or the Police produced it, 22 it won't actually tell you which radar generated it? 23 A. No, it can't be told. We can't tell from the print-out. 24 Q. Thank you. Can I move on in your witness statement to 25 something called the AIS, the automatic identification</p>

<p style="text-align: right;">Page 33</p> <p>1 system. It's item 3 in the six subsystems. 2 AIS basically depends on a particular vessel having 3 equipped itself with equipment called AIS transponders; 4 is that correct? 5 A. Yes. 6 Q. The equipment on board a vessel would send out signals 7 about its name, its length and breadth, as well as its 8 course and speed? 9 A. Yes. 10 Q. That information emanates from the ship? 11 A. Yes. 12 Q. This information would be received by what you have 13 called the AIS base stations? 14 A. Yes. 15 Q. The information would again get back to the equipment in 16 the VTC, and you say they would be fused together with 17 radar tracks and shown on the display subsystem? 18 A. Yes. 19 Q. Can I just ask you this. It's best if we were to 20 actually look at the track record produced by Mardep. 21 Can I trouble you to look at marine bundle 8, the latest 22 disclosure of documents by the Department of Justice, 23 and that was the document that we all received last 24 Thursday. 25 If you look at, in terms of internal page numbering,</p>	<p style="text-align: right;">Page 35</p> <p>1 print-out, going straight for numerous pages, that has 2 nothing to do with the data from AIS? The AIS data is 3 completely separate; that's correct? In other words, 4 the data here does not take into account anything we see 5 from the AIS coming from the Sea Smooth; is that 6 correct? 7 A. Yes. 8 Q. It is purely radar, not AIS? For AIS, we have to look 9 to the charts that we have just seen, the set of 10 documents that we looked at sideways? 11 A. Yes. 12 Q. Because the Lamma IV does not have any AIS equipped, so 13 in terms of the Lamma IV, the only data about course, 14 speed, that is generated on the Mardep print-out system 15 is the radar data with the label 7622, which we can find 16 at page 2040 onwards. Is that correct? If you look at 17 page 2040. The time is 20:17:35 onwards. 18 A. Yes. 19 Q. Can I also ask you this: if one were to try to do 20 a plotting of the trajectory of the two vessels by using 21 such data, would it be better and more reliable to 22 actually use the radar data for both the Sea Smooth and 23 the Lamma IV rather than to use AIS data from Sea Smooth 24 with radar data from Lamma IV? Because for the former, 25 at least the source is the same: radar?</p>
<p style="text-align: right;">Page 34</p> <p>1 page 2054. If you look at this set of information, it 2 should appear sideways like this (indicates). 3 A. Yes. 4 Q. This, as I understand, because I can see the vessel name 5 and length and breadth and vessel type and callsign, 6 would appear to be a collection of data which was 7 received from the transponder on board the Sea Smooth; 8 that's correct? 9 A. Yes. 10 Q. Whereas if you look at the same bundle, the same tab, 11 and turn to page 2042. I'm looking at a page with the 12 label on the left-hand column which carries the number 13 786. The start time is 20:04:36. 14 A. Yes. 15 Q. The format of this suggests to me that this -- because 16 it attaches a particular label with a number -- seems to 17 correspond with what you have described in your witness 18 statement as basically the radar system attaching 19 a label, a number, to a particular target. 786 was the 20 number given by your system to Sea Smooth; that's 21 correct? 22 A. Yes. 23 Q. What I am interested in knowing is that the data that we 24 see in this print-out which tells people as from 8.04 pm 25 onwards the position and COG and SOG of Sea Smooth, this</p>	<p style="text-align: right;">Page 36</p> <p>1 A. From the standpoint of the VTS system, since the 2 maintenance of the radar was responsible by the Marine 3 Department, so we had more confidence in adopting the 4 data from the radar. As for the AIS, since it emanated 5 from the transponder on board the vessels, we are not 6 sure about its accuracy. So we have more confidence in 7 the radar data. 8 The algorithm of the radar system is different from 9 the tracking of the AIS system, because the AIS system 10 was applied for faster and more manoeuvring vessels. 11 So, in the case of the faster and more manoeuvrable 12 vessels, the AIS data is a good reference. Because the 13 radar tracking algorithm is mostly applied in larger 14 ocean-going vessels and larger river-trade vessels, so 15 it can provide more stable data. So while tracking 16 a certain vessel, it might have to take more radar scans 17 in order to trace the change of the vessel. 18 THE CHAIRMAN: Before you go on, Mr Yim, could you help me 19 with one matter of detail, dealing with the AIS data, 20 page 2054. This is information that's transmitted, in 21 this case, from Sea Smooth. 22 A. Yes. 23 THE CHAIRMAN: Is the information -- 24 MR SHIEH: In the expert bundle it would be page 337, 25 because there are problems with page numbering. I'm</p>

<p style="text-align: right;">Page 37</p> <p>1 just informing the parties. 2 THE CHAIRMAN: Very well. For current purposes, just stay 3 on that page. 4 Dealing with the coordinates of latitude and 5 longitude that are detailed here in the columns, does 6 that information come from the GPS on board the Sea 7 Smooth? 8 A. It should be, because the AIS needs a GPS system in 9 order to input the position into the AIS transponder. 10 THE CHAIRMAN: So the answer is yes, it comes from on board 11 Sea Smooth from its GPS system? 12 A. Yes. 13 THE CHAIRMAN: And then it transmits that information by 14 VHF; is that right? VHF radio? 15 A. Yes. 16 THE CHAIRMAN: The calculations that are made as to SOG and 17 COG, speed over ground and course over ground, is that 18 information that is provided from Sea Smooth? 19 A. Yes. 20 THE CHAIRMAN: Is that based on a calculation depending on 21 the latitude and longitude given between different 22 points? 23 A. As far as I understand, yes. 24 THE CHAIRMAN: Thank you. 25 MR SHIEH: It's around about time for the usual mid-morning</p>	<p style="text-align: right;">Page 39</p> <p>1 a more specific commentary on the individual features. 2 Perhaps that would be convenient moment. 3 THE CHAIRMAN: Mr Yim, we are going to take a 20-minute 4 break so we'll resume at 11.50 am by that clock. 5 Can I ask that counsel put their heads together 6 about the timetable for the production of material by in 7 particular Hongkong Electric in response to the request 8 of the letter from the solicitors assisting the 9 Commission. 10 MR SHIEH: Yes. 11 THE CHAIRMAN: 20 minutes. 12 (11.30 am) 13 (A short break) 14 (11.50 am) 15 THE CHAIRMAN: Yes, Mr Shieh. 16 MR SHIEH: Perhaps this is an appropriate juncture to show 17 the actual video that this witness commented on. But 18 can I just put us on the map of his witness statement. 19 If you look at page 3 of your witness statement, at 20 the bottom, you've said: 21 "Interpretation of Items 1 to 8." 22 I think items 1 to 8 are items which the 23 Commission's solicitors have asked for comments from 24 you. Items 1 to 4 are four videos, and we are now going 25 to look at these four videos.</p>
<p style="text-align: right;">Page 38</p> <p>1 break, but can I just ask you one question before we 2 take a break, and then after the break I'm going to ask 3 you to look at the actual radar display that was 4 captured. There are four videos that you have commented 5 on. 6 In relation to the video display, the radar 7 trajectory provided by Mardep, am I correct in 8 understanding that, again in the same as what you have 9 just said, for the radar data, Mardep generated that 10 data by relying exclusively on the radar data? So in 11 producing the video, again, Mardep has operated only on 12 the basis of the radar signals? Is that correct? 13 A. No. 14 Q. Can you tell us which part of the videos involved 15 utilising AIS data? 16 A. In the video, the Sea Smooth shows the AIS label. That 17 means it has received the AIS data. 18 Q. I understand there are bits that we will see which say 19 "Sea Smooth", but in terms of the actual trajectory, 20 that is based on the radar signals; is that correct? 21 The movement. 22 A. Yes. Yes, we can see that the radar echoes come solely 23 from the radar. 24 MR SHIEH: Thank you. Perhaps after the mid-morning break 25 you can actually look at the videos and you can give</p>	<p style="text-align: right;">Page 40</p> <p>1 I think the first video that we wish you to look at 2 is the video of the full course. 3 (Video played) 4 This is Victoria Harbour. 5 A. Yes. 6 Q. This is supposed to show the movement of Sea Smooth from 7 leaving Central Pier at around 8.04 pm. 8 A. Yes. 9 Q. If we watch it for another 15 minutes, we will get to 10 the point when it collided with Lamma IV. 11 A. Yes. 12 Q. Right. In your witness statement you talked about AIS 13 label being able to be seen on this video. Is that the 14 yellow patch of words that we see in the middle of the 15 harbour? Now it's green. 16 A. Yes. 17 Q. The top part says "Sea Smooth", so that would be the 18 ship's name? 19 A. Yes. 20 Q. There is a plus sign in front of the words "Sea Smooth". 21 That means that this ship carries AIS transponder? 22 A. Yes. 23 Q. Then in the next row, we have the first number -- well, 24 it changes -- 293.4. Basically the first item is the 25 course over ground.</p>

<p style="text-align: right;">Page 41</p> <p>1 A. Yes. 2 Q. The next item, speed over ground, and then length and 3 then breadth; that is the content of the second row? 4 A. Yes. 5 Q. This is all data which is generated from or originated 6 from the AIS transponder on board the Sea Smooth? 7 A. Yes. 8 Q. The third row, it starts with "U"; it means "underway"? 9 A. Yes. 10 Q. Then "L" is "low accuracy"? 11 A. Yes. 12 Q. Low accuracy of what? 13 A. The accuracy of the GPS. 14 Q. The accuracy of the GPS on board the vessel? 15 A. Yes. It is only a common GPS and not a DGPS, which 16 means differential global positioning system. 17 Q. After that, we have -- 18 THE CHAIRMAN: Before you move on, that's low accuracy as to 19 the coordinates of latitude and longitude? 20 A. Yes. 21 THE CHAIRMAN: Thank you. 22 MR SHIEH: The "low accuracy" -- from your witness 23 statement, there's a bracket which says larger than 24 10 metres. Can you explain that, your description of 25 "low accuracy"?</p>	<p style="text-align: right;">Page 43</p> <p>1 THE CHAIRMAN: Thank you. 2 MR SHIEH: Perhaps I could just ask about one term of 3 translation. 4 In some of the VHF call recordings that we have 5 heard, we have heard of this concept of "hoi si pin ma". 6 Is that MMSI? 7 THE INTERPRETER: (Chinese spoken). 8 MR SHIEH: We have heard this phrase "hoi si pin ma" in some 9 of the recordings. Is "hoi si pin ma" the same as MMSI? 10 A. No. As far as I understand, no. 11 Q. Right. So who assigns the MMSI number? 12 A. The MMSI should be allocated by the Office of 13 Communications Authority. 14 THE CHAIRMAN: That's OFTA? 15 A. (In English) Previously OFTA. 16 MR SHIEH: The fifth row basically simply gives you the type 17 of ship, and that is it's a high-speed craft, HSC. It's 18 item 4. Number 40 denotes that it's a high-speed craft. 19 It's a code. 20 A. Yes. 21 Q. Then we have the antenna position -- sorry, timestamp. 22 Timestamp; it's 20:14:28. 23 A. Yes. 24 Q. Then antenna position, followed by transponder type, in 25 the last row?</p>
<p style="text-align: right;">Page 42</p> <p>1 A. "Low accuracy" means the average position accuracy is 2 more than 10 metres. 3 Q. So put very crudely, it could misdescribe its position 4 by more than 10 metres? It can inaccurately describe 5 its position by more than 10 metres? 6 A. Yes. 7 Q. The last item on that row is longitude and latitude. We 8 can see "North" and "East". The last item and longitude 9 and latitude, on the third row? 10 A. Yes. 11 Q. The fourth row would be the callsign, ship name, and the 12 MMSI? 13 A. Yes. 14 Q. Can you give me the full name for MMSI? 15 A. (In English) Maritime Mobile Service Identity. 16 THE CHAIRMAN: Is that a unique number for that vessel? 17 A. Yes. 18 THE CHAIRMAN: And the callsign, is that the VHF radio 19 callsign? 20 A. It should be the callsign of this vessel. It is for the 21 identification of this vessel. 22 THE CHAIRMAN: Is it the same as the VHF radio callsign? 23 A. When the VTS operator calls the ship, they will use this 24 callsign to identify the ship. But I'm not sure whether 25 it is called the VHF callsign.</p>	<p style="text-align: right;">Page 44</p> <p>1 A. Yes. 2 Q. All this information that we see in this cluster on the 3 display all came from the AIS system; correct? 4 A. Yes. 5 Q. But in terms of the actual track, showing the actual 6 track that the Sea Smooth had travelled in the video 7 that we have just seen, in following the movement, the 8 track, this display is actually based on the radar 9 signals, not the AIS signals that came from the vessel; 10 is that correct? 11 A. Yes. 12 Q. Thank you. Can I now stop this video and move on to 13 item 2, the second video. 14 (Video played) 15 You can see Lamma Island. 16 A. Yes. 17 Q. Top left-hand corner, we see again the green patch, the 18 information there? 19 A. Yes. 20 Q. Again, this information giving -- the green information 21 again comes from the AIS, which is the same that we saw 22 in the earlier video? 23 A. Yes. 24 Q. But then in the middle, we see a purple patch? 25 A. Yes.</p>

<p style="text-align: right;">Page 45</p> <p>1 Q. We see "Sea Smooth", and then "7622"?</p> <p>2 A. Yes.</p> <p>3 Q. "7622" is the label given by Mardep's radar system to</p> <p>4 this particular target?</p> <p>5 A. Yes.</p> <p>6 Q. It's Lamma IV. Sorry, it's my mistake. 7622 is</p> <p>7 Lamma IV. I've made a mistake.</p> <p>8 Actually, if you look at the white patch, it says</p> <p>9 "7622". That is actually Lamma IV's label. Sorry, I've</p> <p>10 misled you.</p> <p>11 This actually is the moment of collision.</p> <p>12 Why would the 7622 label appear in that purple patch</p> <p>13 behind the name of "Sea Smooth" that we have just seen?</p> <p>14 Can we rewind it to the beginning of this video.</p> <p>15 Can we pause it here.</p> <p>16 A. The purple patch can be interpreted that way. In the</p> <p>17 first column, the first group of numbers showing 00:18</p> <p>18 is the TCPA, which means the time to the closest point</p> <p>19 of approach. The middle number, that is 12, means the</p> <p>20 CPA, which means the closest point of approach in</p> <p>21 metres. The third number, showing 0.01, is the CPA in</p> <p>22 nautical miles. And the centre column, showing the name</p> <p>23 of "Sea Smooth". And then the centre column, in the</p> <p>24 centre of the line, showing 228, it denotes the distance</p> <p>25 of Sea Smooth from the CPA in metres. And the lowest</p>	<p style="text-align: right;">Page 47</p> <p>1 these two ships keep moving forward until they reach</p> <p>2 a point where they are closest to each other. In the</p> <p>3 screen, we see that the short white line, it is actually</p> <p>4 the distance and it is calculated according to the speed</p> <p>5 and the course of the ships.</p> <p>6 We can see from the screen that the short white line</p> <p>7 measures 12 metres, or 0.01 nautical miles. So</p> <p>8 according to the TCPA on the top number, in the first</p> <p>9 column, if these two ships continue to travel at the</p> <p>10 same speed and direction, they will reach the CPA point</p> <p>11 after 0.18 seconds.</p> <p>12 THE CHAIRMAN: That's 0.18 minutes?</p> <p>13 A. Sorry. It should be 0 minutes, 18 seconds.</p> <p>14 THE CHAIRMAN: It's expressed as seconds, not as</p> <p>15 a percentage of a minute? It's seconds, is it?</p> <p>16 A. (In English) Yes. Not a percentage of a minute; it's</p> <p>17 a second.</p> <p>18 THE CHAIRMAN: Thank you. So it's a projection if</p> <p>19 everything stays the same?</p> <p>20 A. Yes.</p> <p>21 THE CHAIRMAN: As things were at that moment in time, it was</p> <p>22 a 12-metre CPA, closest point of approach?</p> <p>23 A. Yes. Yes, at that moment. Yes, but the system will</p> <p>24 continue to make calculation. So in the next moment, it</p> <p>25 will come up with different CPA distance according to</p>
<p style="text-align: right;">Page 46</p> <p>1 number shows the Sea Smooth from the point of CPA in</p> <p>2 nautical miles.</p> <p>3 The third column, showing the number 7622, it shows</p> <p>4 the check number of this target ship, 7622. And the</p> <p>5 number in the centre showing 111, it denotes the</p> <p>6 distance of this target ship, 7622, from the CPA in</p> <p>7 metres. As for the lowest number, 0.06, it shows the</p> <p>8 position of the target ship, 7622, from the CPA in</p> <p>9 nautical miles.</p> <p>10 Q. Thank you. That actually is a further elaboration,</p> <p>11 really, of what you said at the bottom of page 4 of your</p> <p>12 statement going on to page 5 of your statement; is that</p> <p>13 correct?</p> <p>14 A. Yes.</p> <p>15 Q. Can you explain further this concept of the closest</p> <p>16 point of approaching? How did the system in the VTC</p> <p>17 actually arrive at the closest point of approaching?</p> <p>18 Based on what information did it calculate this closest</p> <p>19 point of approaching?</p> <p>20 THE CHAIRMAN: He'd like to have the video display?</p> <p>21 MR SHIEH: He'd like to have the video screen back.</p> <p>22 I think it's the middle row of the first column.</p> <p>23 A. Yes. The calculation of the VTS is such that it is</p> <p>24 arrived at by calculating the course and speed of the</p> <p>25 two ships, the existing two ships, and projects that</p>	<p style="text-align: right;">Page 48</p> <p>1 the speed and direction of the vessels.</p> <p>2 MR SHIEH: Yes, because it is a prediction as of</p> <p>3 a particular point in time, based on the course and</p> <p>4 speed recorded or perceived at that particular point in</p> <p>5 time; correct?</p> <p>6 A. Yes.</p> <p>7 Q. And the white patch in the bottom right-hand corner,</p> <p>8 that pertains to Lamma IV?</p> <p>9 A. Yes.</p> <p>10 Q. 7622 would be the label given to Lamma IV?</p> <p>11 A. Yes.</p> <p>12 Q. The next row would be the one you have corrected, COG</p> <p>13 followed by SOG, and length in metres?</p> <p>14 A. Yes, it's COG and SOG and also the length of the vessel</p> <p>15 in metres.</p> <p>16 Q. The third row gives the ID of the vessel, "7622",</p> <p>17 followed by the length and breadth as detected by the</p> <p>18 radar?</p> <p>19 A. Yes.</p> <p>20 THE CHAIRMAN: Expressed in what unit?</p> <p>21 A. (In English) In metres.</p> <p>22 THE CHAIRMAN: Thank you.</p> <p>23 MR SHIEH: And the last row, track number again?</p> <p>24 A. Yes. I would like to add something. The length and</p> <p>25 breadth detected by the radar was only calculated from</p>

<p style="text-align: right;">Page 49</p> <p>1 the echo received by the radar and not the actual length 2 and breadth. There might be some difference the -- 3 there might be discrepancy from the real length and 4 breadth. Because the radar can pick up different length 5 and breadth from different aspects. 6 Q. Thank you. This is in fact a more detailed elaboration 7 of what you've said in the middle of page 4 of your 8 witness statement; correct? 9 A. Yes. 10 Q. Right. Can I now move on to look at the third video. 11 (Video played) 12 Again, at the top left-hand corner we see the same 13 AIS information from the Sea Smooth that we have seen in 14 the previous two videos. 15 A. Yes. 16 Q. In the bottom right-hand corner there's a white patch, 17 "7622". That gave the information about Lamma IV that 18 again we have seen in the previous video. 19 A. Yes. 20 Q. Perhaps we can pause it here. You can see four purple 21 rows of figures. 22 A. Yes. 23 Q. That, I understand, describes the bearing and distance 24 between the vessels. Perhaps you can explain the 25 significance of each item.</p>	<p style="text-align: right;">Page 51</p> <p>1 dialogue between the VTS operator and Sea Smooth on 2 channel 14. 3 MR SHIEH: Could we now continue playing the video. 4 (Video played) 5 I think at this juncture, the volume has to be muted 6 because it involves disclosing a mobile phone number. 7 But the playing of the video can perhaps continue. 8 Mr Chairman, and perhaps for the benefit of the 9 involved parties, there is actually a transcript both in 10 Chinese and English of the VHF conversation that we have 11 just heard. 12 THE CHAIRMAN: Could you give me the reference? 13 MR SHIEH: It's in bundle M1, marine bundle 1, page 170-2 14 down to page 170-7. That's the Chinese one. The 15 English translation of the same conversation is marine 16 bundle 1, page 170-8 down to page 170-12. 17 THE CHAIRMAN: Thank you. 18 MR SHIEH: Following the discussion this morning, soft-copy 19 bundles of everything, including the transcript, will be 20 given. This is the actual transcript which would be in 21 the soft-copy bundles that will be distributed to the 22 parties. 23 THE CHAIRMAN: Yes. Thank you. 24 MR SHIEH: Mr Yim, is it correct that all these four videos 25 actually depict the same course, except that each video</p>
<p style="text-align: right;">Page 50</p> <p>1 A. In the first row, 173.8, it shows the bearing as 2 measured from the north as seen by Sea Smooth, of the 3 target ship, 7622. As for the number 353.8 on the 4 second row, it shows the bearing of Sea Smooth as 5 measured from the north, as seen by target ship 7622. 6 Both numbers were shown in degrees. 7 The third row, the number on the third row, that is 8 1492, it denotes the distance between Sea Smooth and the 9 vessel 7622 at that moment. It was measured in metres. 10 The number 0.806 on the fourth row denotes the distance 11 between the two ships in nautical miles. 12 Q. The analysis of this data is an exercise performed by 13 equipment in the VTC, as part of Vessel Traffic System? 14 A. Yes. 15 Q. I notice that in this display, there is no separate -- 16 well, perhaps I'll scrap that. 17 Can I move on to the fourth video. 18 (Video played) 19 I think we should have the audio. Perhaps we pause 20 here first. The name of this video is called 21 "Zoom.In_2018-2031. Can you just briefly explain to us 22 what this video is intended to depict? 23 A. It is a zoomed-in version of the track of the two 24 vessels, and it shows the track of these two vessels 25 during and after the collision. It also shows the</p>	<p style="text-align: right;">Page 52</p> <p>1 focuses on a particular matter? So the first 2 full-course video shows the entire journey of Sea Smooth 3 from Central down to the point of collision; the second 4 and third videos show the same course but with different 5 information shown on the display; whereas the fourth 6 video, again, same course, but simply zooming in to show 7 the point collision and its aftermath. Is that a fair 8 way of putting these four videos? 9 A. Yes, but I would like to add that the first video 10 depicts the full course from Central Pier to the point 11 of collision, and then back to the Yung Shue Wan pier. 12 Q. Just a point of interest. In these videos, as far as 13 Sea Smooth is concerned, we know that the green patch on 14 the top left-hand corner displaying data transmitted 15 from the AIS transponder from the Sea Smooth, that is 16 displayed on the screen. 17 A. Yes. 18 Q. The VTS, the system in Mardep, the radars, would 19 actually have got radar data which reflected off Sea 20 Smooth as well; that's correct? 21 A. Yes. 22 Q. In the same way as radar data, radar signals actually 23 received or obtained from Lamma IV which actually were 24 displayed in the white patch at the bottom right-hand 25 corner.</p>

<p style="text-align: right;">Page 53</p> <p>1 A. Yes.</p> <p>2 Q. So am I correct in thinking that the fact that the video</p> <p>3 that we have seen only showed the AIS data is simply</p> <p>4 a matter of choice? Because if the compiler of the</p> <p>5 video had wanted to, he could just as well have removed</p> <p>6 the green patch and displayed the radar data, for</p> <p>7 example, not showing the Sea Smooth name but showing the</p> <p>8 number given to Sea Smooth, in the same format as the</p> <p>9 Lamma IV data?</p> <p>10 A. Basically this is correct. Because it can remove the</p> <p>11 AIS label and just show the radar label, but it will</p> <p>12 still show the name "Sea Smooth" because it was received</p> <p>13 from the AIS transponder of the VTS. So it will still</p> <p>14 show the name instead of just the radar code. And they</p> <p>15 can choose to show the radar label.</p> <p>16 Q. Thank you. If you look at the screen, you can see near</p> <p>17 the green patch there are two vessels, one with the name</p> <p>18 of "Chaple", the other is "R_Deter O". There are two</p> <p>19 vessels you can see.</p> <p>20 A. Yes.</p> <p>21 Q. Were they boats that were anchored at the anchor area,</p> <p>22 from what you can observe?</p> <p>23 A. Yes.</p> <p>24 Q. Apparently they didn't seem to move. They appear to be</p> <p>25 anchored.</p>	<p style="text-align: right;">Page 55</p> <p>1 Q. This records the radar data?</p> <p>2 A. Yes.</p> <p>3 Q. If you move on about five pages, down to page 315, in</p> <p>4 the middle, we begin to see the appearance of the label</p> <p>5 "7622".</p> <p>6 A. Yes.</p> <p>7 Q. "7622" we know is the label given by the radar system to</p> <p>8 Lamma IV?</p> <p>9 A. Yes.</p> <p>10 Q. Then, from I think 20:17:35 onwards, we see actually</p> <p>11 7622 and 786 appearing alternately.</p> <p>12 A. Yes.</p> <p>13 Q. So is this table, which runs all the way up to page 322,</p> <p>14 an attempt to really marry up the radar data from the</p> <p>15 two vessels?</p> <p>16 A. Yes. Basically they are the radar datas of the two</p> <p>17 vessels.</p> <p>18 Q. There are some remarks on the "Alerts" column that</p> <p>19 I would wish you to give us some assistance on.</p> <p>20 Page 314. At 20:14:17, we begin to see the alert</p> <p>21 "Collision".</p> <p>22 A. Yes.</p> <p>23 Q. We know that's not quite the time when the collision in</p> <p>24 question took place, and at that point in time, Lamma IV</p> <p>25 hadn't even cleared its berth, I believe. So it can't</p>
<p style="text-align: right;">Page 54</p> <p>1 A. Yes.</p> <p>2 THE CHAIRMAN: Mr Shieh, do we have details of the</p> <p>3 characteristics of these vessels?</p> <p>4 MR SHIEH: We can check. I believe we have a list of the</p> <p>5 anchored vessels in the area. But I can check whether</p> <p>6 we have the characteristics of these vessels.</p> <p>7 THE CHAIRMAN: Thank you.</p> <p>8 MR SHIEH: I believe we do. Mr Beresford is now looking for</p> <p>9 them.</p> <p>10 Mr Yim, can I ask you to turn to the radar data that</p> <p>11 the Mardep has recently disclosed. In terms of bundle</p> <p>12 reference, I think the easy way to look at them would be</p> <p>13 in the expert evidence bundle, page 310. In terms of</p> <p>14 the original bundle numbering, it would be marine</p> <p>15 bundle 8, page 2027 onwards. So depending on whichever</p> <p>16 bundles people are using ...</p> <p>17 May I know which version the witness is using?</p> <p>18 A. I have both bundles in front of me.</p> <p>19 Q. All right. Why don't we use the expert bundle, because</p> <p>20 that, I think, is most convenient to the involved</p> <p>21 parties. Page 310. Marine bundle 8, page 2027.</p> <p>22 That starts at 20:04 with a label "786".</p> <p>23 A. Yes.</p> <p>24 Q. 786 is the label for Sea Smooth?</p> <p>25 A. Yes.</p>	<p style="text-align: right;">Page 56</p> <p>1 be talking about the collision in question.</p> <p>2 A. No. This alert has nothing to do with the collision of</p> <p>3 Lamma IV.</p> <p>4 Q. Pause here. Perhaps in explaining it, you can obviously</p> <p>5 answer the question in the way which appears most</p> <p>6 appropriate to you, but you may also wish to explain to</p> <p>7 us the way this "Alert" column works within the VTS</p> <p>8 system.</p> <p>9 A. The VTS system could provide different alert settings.</p> <p>10 For example, it can set potential collision alert or</p> <p>11 in-zone alert or potential grounding or potential</p> <p>12 striking alert. In the case of potential collision</p> <p>13 alert, it was calculated according to the CPA and TCPA</p> <p>14 of two vessels that are heading towards each other,</p> <p>15 where if they violate the allowed shortest distance,</p> <p>16 then a collision alert will be issued.</p> <p>17 THE CHAIRMAN: What were the parameters set to make this</p> <p>18 alarm go off?</p> <p>19 MS SIT: That's not the question. "Trigger".</p> <p>20 THE INTERPRETER: (Chinese spoken).</p> <p>21 A. There are three kinds of settings in the VTS. In the</p> <p>22 inner harbour, if the CPA is less than 90 metres and the</p> <p>23 TCPA is three minutes, then a potential collision alert</p> <p>24 will go off. In certain positions, the TSS or the</p> <p>25 traffic separation scheme is set at 180 metres for CPA,</p>

<p style="text-align: right;">Page 57</p> <p>1 and three minutes for TCPA. In the case of outer 2 harbour, the CPA was set at 360 metres, and the TCPA was 3 three minutes. 4 THE CHAIRMAN: Thank you. 5 MR SHIEH: That is for an alert of potential collision? 6 A. Yes. Apart from these perimeters, other criteria have 7 to be met for the alarm to go off. For example, whether 8 the two vessels that are heading towards each other are 9 VTS-participating vessels. There might be cases where 10 one of them is and the other is not, or both of them are 11 not. If they meet these criteria, then the potential 12 collision alert will be generated. For example, on 13 page 314, from 20:14:17 onwards, up to 20:14:32, the 14 target ship 786 has issued potential warning signals six 15 times. So that means in that course, there is 16 a VTS-participating ship that runs the risk of 17 collision. That means it has violated the conditions of 18 CPA and TCPA, and so it has the potential collision 19 alert. This kind of situation occurs quite frequently, 20 because the traffic at the harbour is very heavy. And 21 afterwards, the CPA and TCPA was no longer violated, and 22 so the potential collision alert went off. 23 MR SHIEH: Mr Chairman, it's about 1 o'clock now, but 24 perhaps before we take the lunch break I can actually 25 inform the Chairman that we actually have information of</p>	<p style="text-align: right;">Page 59</p> <p>1 THE CHAIRMAN: Yes. It's a question of prioritising the 2 material to be received. 3 MR McGOWAN: Yes. 4 THE CHAIRMAN: If it's necessary for Dr Armstrong to inspect 5 the vessel again or to call for more information, then 6 it makes sense that he's given it before he leaves 7 Hong Kong. 8 MR McGOWAN: Yes, and that's been explained to me by my 9 learned friend. We'll chase that up. 10 THE CHAIRMAN: Thank you. Please come back to me this 11 afternoon. 12 MR McGOWAN: Yes. 13 THE CHAIRMAN: Mr Yim, we're going to adjourn now. We'll 14 resume at 2.30 this afternoon. For your information, 15 we'll sit until 4.30. 16 Thank you. 2.30. 17 (1.01 pm) 18 (The luncheon adjournment) 19 (2.29 pm) 20 THE CHAIRMAN: Yes, Mr Shieh. 21 MR SHIEH: Mr Chairman, I have had a word with those 22 instructed by the Department of Justice about the 23 information sought by Mr Chairman about the anchored 24 vessels, whether or not there is further information 25 about those vessels.</p>
<p style="text-align: right;">Page 58</p> <p>1 the anchored vessels. 2 THE CHAIRMAN: Yes. Thank you. 3 MR SHIEH: It's in the expert witness bundle, page 292 down 4 to page 299. We've got radar snapshots. In order to 5 actually get the detailed characteristics, one might 6 have to zoom in. But we will try to actually obtain 7 zoomed-in -- 8 THE CHAIRMAN: Presumably these vessels and their 9 characteristics are known by other data as well? If 10 they're anchored in Hong Kong, presumably there's some 11 record of their length overall, whether they are lit up 12 like a Christmas tree, as tankers often are? 13 MR SHIEH: We will check that out. 14 THE CHAIRMAN: Thank you. Now, the issue that I raised 15 earlier as to the timetable for the provision of 16 material from Hongkong Electric, has that been resolved 17 by counsel? 18 MR SHIEH: I informed Mr McGowan and those instructing him 19 as to the precise items of documentation which the 20 Commissioner would need in order for Dr Armstrong to be 21 able to follow up on any matters of ship construction 22 before he departs. 23 THE CHAIRMAN: Mr McGowan? 24 MR McGOWAN: We'll make enquiries after over the lunch break 25 and let you know this afternoon.</p>	<p style="text-align: right;">Page 60</p> <p>1 Obviously I've particularly indicated that perhaps 2 the Commission is interested in the lighting that was on 3 those vessels, because obviously if we start asking for 4 the entire file of those vessels, we will end up getting 5 ship construction plans and all those sorts of things, 6 which is not exactly what the Commission is looking for. 7 THE CHAIRMAN: No, we don't want that. What is relevant is 8 the length of the vessel; if it is known, what its state 9 in the water was -- high out of the water, low down; 10 factors that might be relevant to issues of interfering 11 with visibility. That's all. Nothing more, nothing 12 less. 13 MR SHIEH: Yes. That is what I understood to be the line of 14 inquiry, and I have communicated that to the Department 15 of Justice and they are taking instructions. 16 THE CHAIRMAN: Thank you. 17 MR SHIEH: Can I now carry on with the questioning? 18 THE CHAIRMAN: Please do. 19 MR SHIEH: I have just been reminded to follow up on one 20 question and one answer that had been raised during the 21 morning session. 22 Can I remind the witness of an answer that he had 23 given about low accuracy in terms of the position of the 24 vessels, which we discussed this morning. In the 25 LiveNote transcript, it is page 41, line 13. We</p>

<p style="text-align: right;">Page 61</p> <p>1 discussed the accuracy of the GPS. 2 THE CHAIRMAN: Perhaps we could have that bit translated. 3 We're dealing, I think, with what is at page 1876 in 4 marine bundle 8, where the reference is to low accuracy 5 and then "greater than 10 metres". 6 MR SHIEH: Yes, that was the witness's evidence in his 7 witness statement when he was describing the legend. 8 THE CHAIRMAN: Marine bundle 8, page 1876. 9 A. Yes. 10 MR SHIEH: The answer you gave was that it was only a common 11 GPS and not a DGPS, which means a differential global 12 positioning system. 13 A. Yes. 14 Q. So is it your evidence that as far as this vessel was 15 concerned, its GPS was only a common GPS and not 16 a differential GPS? And what difference would it have 17 made? 18 A. Because according to the AIS information, "low accuracy" 19 refers to the -- according to the accuracy standard 20 requirement, its accuracy is higher than 10 metres. But 21 if it is a "high accuracy", that means DGPS equipment, 22 then the document sent should show the letter "H". 23 The difference between DGPS and GPS is that in the 24 case of a common GPS, it has no correction. But in the 25 case of a DGPS, it can make correction to make it more</p>	<p style="text-align: right;">Page 63</p> <p>1 A. Yes, if both vessels are participants, then regardless 2 of the length, as long as there is a violation of CPA 3 and TCPA, the alert will still be generated. But if one 4 of the vessels is a participating vessel, then its 5 length must be higher than -- then the vessel that is 6 not participant, its length has to be longer than 7 35 metres in order for the alert to be generated. If 8 both vessels are not participants, then the alert will 9 not be issued. 10 Q. A number of questions arise from that. you mentioned the 11 concept of a participant in VTS. How does a vessel come 12 to participate in the VTS? Does it launch a prior 13 application or register with the Mardep? 14 A. There are criteria for the VTS-participating vessels. 15 But as far as I know, the ocean-going vessels and the 16 large river-trade vessels are usually participants of 17 VTS. But as for the precise definition of the 18 participants, we have to ask the staff of the operation 19 department. 20 THE CHAIRMAN: Was Sea Smooth a participant in this VTS 21 scheme? 22 A. As far as I know, it is not. 23 MR SHIEH: How about Lamma IV? 24 A. Neither is it. 25 Q. So, according to what you have just said, the system</p>
<p style="text-align: right;">Page 62</p> <p>1 accurate. 2 THE CHAIRMAN: If it's got that differential GPS, instead 3 of "L", you have "H", is that it, on the transmission? 4 A. Yes, but according to the recommendation of the AIS, 5 this is what needs to be done. But on the vessel, they 6 can make mistakes by inserting "L" instead of "H". 7 MR SHIEH: It's entirely a matter for the vessel whether it 8 equips itself with a common GPS or a differential GPS; 9 is that the case? 10 A. Yes. 11 Q. Can I move on to another area of answers that you gave 12 in the morning. 13 You talked about the parameters which were set in 14 order to generate alerts. You talked about the CPA, the 15 TCPA -- do you remember? 16 A. Yes. 17 Q. As part of the parameters, you also talked about whether 18 or not one or both of the vessels were participants in 19 the VTS. 20 A. Yes. 21 Q. How did that work? Is it the case that alerts about 22 potential collisions between two vessels would only be 23 generated if both vessels were participants, or is it 24 your evidence that alerts would be generated as long as 25 one vessel is a participant, or what?</p>	<p style="text-align: right;">Page 64</p> <p>1 simply would not generate any alerts for potential 2 collisions in respect of these two vessels, although 3 radar signals would be captured? 4 A. Yes. As far as these two vessels which are heading 5 towards each other are concerned, the warning will not 6 be issued. 7 Q. Thank you. We will decide whether to pursue this line 8 of inquiry about participating in VTS. But could you 9 let us know which particular section of Mardep would be 10 responsible for this question of participation in VTS, 11 so we could consider the matter? 12 A. I think the staff of the VTC are able to answer your 13 questions. I mean the staff of the VTC operation. 14 Q. Is there a particular designated post? If you don't 15 want to mention the officer's name, perhaps a particular 16 post that we could approach? 17 A. Yes, but I'm only -- I belong to the VTC engineering 18 department, and only the VTC operations staff can answer 19 your questions. 20 Q. Right. So it's the operation section of the VTC who 21 could provide relevant information or witness 22 statements? 23 We simply need to approach the VTC operations 24 section in order to obtain the relevant information, as 25 opposed to your section, which is the engineering</p>

<p style="text-align: right;">Page 65</p> <p>1 section?</p> <p>2 Let me put the question again. Perhaps I am putting</p> <p>3 it in too lengthy a manner.</p> <p>4 Your section doesn't deal with participation in the</p> <p>5 VTS scheme; the operations section deals with this</p> <p>6 matter, and we should therefore approach the operations</p> <p>7 section of VTC in this regard.</p> <p>8 A. Yes.</p> <p>9 Q. The next question that arose from your answer is that</p> <p>10 we've been hearing this concept about generating</p> <p>11 an alert. We have seen the print-outs, but these</p> <p>12 print-outs that we saw were obviously created after the</p> <p>13 event.</p> <p>14 For example, the one in the expert bundle, page 310</p> <p>15 onwards, they were obviously printed out after the</p> <p>16 event?</p> <p>17 A. Yes.</p> <p>18 Q. So when you talk about generating an alert, you're not</p> <p>19 just talking about an alert appearing in the right-hand</p> <p>20 column in these print-outs generated after the event,</p> <p>21 are you? You're talking about an alert generated</p> <p>22 contemporaneously as events unfold?</p> <p>23 A. Yes.</p> <p>24 Q. So how would those alerts be generated? Would it be</p> <p>25 an audible alert in the VTC, or would it be a visual</p>	<p style="text-align: right;">Page 67</p> <p>1 THE CHAIRMAN: Before you move on, when you say that the</p> <p>2 visual alert is shown in red, is that the vector between</p> <p>3 the vessels?</p> <p>4 A. (In English) Vector and the label as well.</p> <p>5 THE CHAIRMAN: Thank you.</p> <p>6 MR SHIEH: Mr Mok has kindly supplied copies of what the</p> <p>7 alert would look like visually.</p> <p>8 THE CHAIRMAN: They're available, perhaps we can deal with</p> <p>9 it now.</p> <p>10 (Handed).</p> <p>11 These are the waters up by the bridge, Ma Wan, are</p> <p>12 they not?</p> <p>13 A. Yes.</p> <p>14 MR SHIEH: We can see a number of red words on display on</p> <p>15 this print-out, this series of print-outs.</p> <p>16 A. Yes.</p> <p>17 Q. Is that what you refer to as being the alert in red that</p> <p>18 would be displayed on the screen?</p> <p>19 A. Yes.</p> <p>20 THE CHAIRMAN: So vector and label?</p> <p>21 A. Yes. If you pay attention to the centre of the course,</p> <p>22 you will see that there is a vessel with its vector and</p> <p>23 label shown in red.</p> <p>24 THE CHAIRMAN: Yes. Thank you.</p> <p>25 MR SHIEH: Thank you. My next question following from that</p>
<p style="text-align: right;">Page 66</p> <p>1 alert appearing on a monitor, in a textual form like</p> <p>2 this, or can you describe the way the alert was</p> <p>3 generated? Or is it an alert generated to the vessels</p> <p>4 in question?</p> <p>5 A. In fact the three ways that you mentioned are possible,</p> <p>6 except the one pertaining to the VHF channel. It</p> <p>7 depends on whether such a traffic display setting has</p> <p>8 been set. In the case of visual alert, the size of the</p> <p>9 ship and the label will be shown on the screen in red.</p> <p>10 In the case of audible alert, it depends on whether the</p> <p>11 setting has been enabled to allow such an alert. As for</p> <p>12 the textual alert, it can be displayed on the screen.</p> <p>13 Q. So who would decide at any particular time what sort of</p> <p>14 setting is entered into the system?</p> <p>15 A. A VTS operator can change the setting, but I would like</p> <p>16 to add that the visual alert would certainly be shown.</p> <p>17 In the case of audible alert, an operator can disable it</p> <p>18 or enable it, depending on the need of operation.</p> <p>19 Q. Well, I suppose it may be because if you set the audible</p> <p>20 alert to be on, then in case of a situation at, let's</p> <p>21 say, 20:14, when it's alerted to be a collision but</p> <p>22 which didn't take place, which might be pretty often, if</p> <p>23 you set it to audible, then the room would be rather</p> <p>24 noisy?</p> <p>25 A. Yes.</p>	<p style="text-align: right;">Page 68</p> <p>1 is, how would these alerts be used or relied upon or</p> <p>2 utilised within the VTS?</p> <p>3 A. When a VTS operator spots a vessel in which its label</p> <p>4 and vector has turned to red, he will pay particular</p> <p>5 attention to this vessel because it is running the risk</p> <p>6 of colliding with the vessel that is heading towards it.</p> <p>7 And it will use the very high frequency, VHF, to advise</p> <p>8 the vessel.</p> <p>9 Q. This may be something more relevant to what we call</p> <p>10 part 2 of the Inquiry, but perhaps I could just follow</p> <p>11 up. In the print-out that we have seen, the print-out</p> <p>12 shows that there are quite a number of red alerts or</p> <p>13 there could be a number of red alerts at any one time.</p> <p>14 A. Yes.</p> <p>15 Q. So are you suggesting that staff at the VTC would</p> <p>16 actually be making efforts to contact all vessels shown</p> <p>17 on the alert as potentially running the risk of</p> <p>18 a collision?</p> <p>19 A. No, because the ships that are shown in red in the Kwai</p> <p>20 Chung container terminal and the anchorage area, all</p> <p>21 these vessels are already anchored.</p> <p>22 But when the system spotted violations of CPA and</p> <p>23 TCPA, it will still generate an alert. But in these</p> <p>24 cases, the alert doesn't have much meaning. But for</p> <p>25 ships that are running in a course, then they will catch</p>

<p style="text-align: right;">Page 69</p> <p>1 the attention of the operators. 2 Q. This morning again, you had given evidence. We may 3 follow up the operation of the VTC in terms of vessel 4 safety perhaps in a later part of the Inquiry, but can 5 I come back to what you said this morning. 6 This morning you gave evidence about the parameters 7 in terms of the CPA and TCPA, in order to generate 8 alerts. 9 A. Yes. 10 Q. For example, you talked about if it's within harbour, 11 then it's a particular set of parameters, whereas if 12 it's in another area, it would be some other set of 13 parameters. 14 A. Yes. 15 Q. In particular, you said in the inner harbour it would be 16 CPA, less than 90 minutes, and TCPA, three minutes. 17 A. Yes. 18 Q. Whereas if it's for let's say the outer harbour, you 19 said CPA would be set at 360 metres, and the TCPA, three 20 minutes? 21 A. Yes. 22 Q. Perhaps you could assist us on that. How are these 23 various parameters decided? 24 For example, to a layman, 360 metres could appear to 25 be quite far off.</p>	<p style="text-align: right;">Page 71</p> <p>1 displayed. 2 A. Yes. 3 Q. But you told us that Sea Smooth was not a participant in 4 the VTS. So did this alert arise because the other 5 vessel was a participant? 6 A. Yes. As far as I understand, this is the case. 7 Q. But on this print-out, we wouldn't know who the other 8 vessel was? 9 A. Yes, we don't know. Yes, we can't tell that from the 10 print-out. 11 Q. Fine. Can I then ask you to look at page 318, which 12 shows the other type of alert that you mentioned, the 13 in-zone alert. Can you explain to us what this in-zone 14 alert is? 15 A. In the inner harbour, some areas will attract special 16 attention when some vessels come in. The system will 17 allow the users to define a special zone in the waters 18 where, when a vessel comes in, it will trigger the 19 alert. 20 Q. Right. So that is actually not to do with any 21 collision, but it's got to do with the positioning of 22 a particular vessel in or near a particular zone? 23 A. Yes. 24 Q. Could I now ask you to look at certain radar plots 25 produced by Mardep, which are in the expert bundle at</p>
<p style="text-align: right;">Page 70</p> <p>1 A. Yes. In the case of outer harbour, setting the 2 perimeter at 360 metres won't pose a major problem. But 3 in the case of the inner harbour, if the perimeter is 4 set at 360 metres, then a large number of vessels will 5 run the risk of collision of the alert, and that is why 6 it was set at 90 metres. But as for why it is 90 metres 7 or 360 metres, it is due to the need of the operational 8 staff. 9 Q. So the operation section again would be able to assist 10 us as to the thinking behind let's say choosing 11 90 metres for inner harbour, and as to how these 12 parameters are decided upon. 13 A. Yes. 14 Q. Can I ask you to look at the expert bundle, page 314. 15 I've been reminded by my learned friend Mr Mok that 16 in terms of the translation, I think what the witness 17 meant to say at page 70, line 5, was that if the 18 parameter is set at 360 metres, then a large number of 19 vessels would not -- it shouldn't be "run the risk of 20 collision", I think it's probably "run the risk of 21 triggering the alert". 22 THE CHAIRMAN: I think he made that clear. Even in the 23 translation, that was clear. 24 MR SHIEH: Thank you. 25 Page 314, Mr Yim, you see the collision alert being</p>	<p style="text-align: right;">Page 72</p> <p>1 page 356. The reference for the marine bundle is marine 2 bundle 8, page 2073. This is a radar plot at a range of 3 0.21 nautical miles. 4 A. Yes. 5 Q. The red represents Sea Smooth, and the blue represents 6 Lamma IV? 7 A. Yes. 8 Q. On the left-hand side, we can see "786", and that is the 9 label given to Sea Smooth? 10 A. Yes. 11 Q. Just to confirm this, the various items of data shown or 12 displayed on this plot for both vessels were in fact 13 taken from the radar data that we could see shown in the 14 previous pages, the track records; is that correct? 15 A. Yes. 16 Q. But the particular interval in question actually only 17 started here at 20:19. Around about 20:19:56, I think. 18 A. (Chinese spoken). 19 Q. The same goes for the blue line? 20 A. (In English) Yes. 21 (Chinese spoken). 22 THE CHAIRMAN: Could we have the translation? 23 MR SHIEH: I'm sorry. 24 A. In this plot, the label was shown as 20:19:56, but in 25 actual fact, we can see some red dots on the red line.</p>

<p style="text-align: right;">Page 73</p> <p>1 It was because this information corresponds to the radar 2 track record. It's only that we haven't shown the 3 label -- the dots. 4 It's only that we haven't shown the label. 5 THE CHAIRMAN: Yes. If we look at page 358, we've got 6 an earlier period included, do we not? 7 A. Yes. 8 MR SHIEH: Could I just see whether or not I have any other 9 questions for you, Mr Yim. Just give me a minute. 10 Could the witness be shown expert evidence bundle 11 page 292. 12 A. Yes. 13 Q. Page 292 is a page of narrative providing information on 14 vessels that were anchored in the vicinity of the Lamma 15 Channel between 7 pm and 9 pm on 1 October. 16 A. Yes. 17 Q. If you turn over to the next few pages, it goes up to 18 page 299. 19 These were all radar snapshots taken at various 20 points in time of the area in question. 21 A. Yes. 22 Q. Can you just confirm that these are all records that are 23 retrieved or generated from the VTS? 24 A. Judging from these snapshots, I believe that it is the 25 case.</p>	<p style="text-align: right;">Page 75</p> <p>1 A. Basically this is true, but I would like to supplement 2 some information. In the previous page, you see that 3 the information provided by the AIS, it was sent from 4 the vessel. It depends on how much information has been 5 inputted into the transponder and how much equipment has 6 been attached to the system. But I can see that the 7 information here is more substantial than that of the 8 Sea Smooth, because you can see that here the number 6.5 9 indicates the ship's draft, and the 4.1 indicates the 10 air draft of the vessel. 11 But the information we received from Sea Smooth did 12 not indicate the draft and the air draft. 13 Q. Right. So all these green patches come from information 14 generated by the AIS transponder on individual vessels? 15 A. Yes. 16 Q. But the Marine Department would have its own information 17 about vessels anchored in that vicinity at any one time, 18 wouldn't it? 19 A. Yes. Yes, as far as I understand, this is the case. 20 Q. Which particular section in the Marine Department would 21 be responsible for keeping or handling those files or 22 information? 23 A. I'm not sure, but we can ask the staff of the VTS 24 operation. 25 Q. I can simply ask the lawyers instructed for Mardep.</p>
<p style="text-align: right;">Page 74</p> <p>1 Q. Thank you. By way of illustration, if we look at 2 page 297 -- 3 A. Yes. 4 Q. The bottom snapshot shows the situation about anchored 5 vessels in the vicinity at 20:20 pm. 6 A. Yes. 7 MR SHIEH: Are we able to blow that up? Any one of those 8 green patches. 9 For example, the Chaple, the one about the Chaplet. 10 Does that give us any information about the measurements 11 of the vessel, length and breadth? 12 A. The second row, the letter shown on the row is the 13 label. In the first column, the number 254.0 is the 14 call of the vessel, but it is only a pure calculation, 15 because the vessel is already anchored. But the system 16 continued to make the calculation. 17 On the first row -- the second cluster of numbers 18 shows the speed. The third one shows the length, which 19 is 119. The fourth row shows the breadth, which is 20 32 -- sorry, the fourth group, with the number 32, it 21 indicates the breadth. 22 Q. Basically we decipher these green patches in accordance 23 with the table that you helpfully produced at page 4 of 24 your witness statement top-up? Marine bundle 8, 25 page 1876. It is item 2 of that particular part.</p>	<p style="text-align: right;">Page 76</p> <p>1 Now that you have brought up this point that the 2 information that we find on these radar snapshots may 3 not correspond entirely with the eight points that you 4 mentioned in your witness statement, because obviously 5 these depend on the manner in which each ship sends the 6 AIS signal, perhaps I may have to trouble you to explain 7 to us in greater detail the information on each of the 8 anchored vessels on that snapshot. 9 Just now we are looking at Chaple. Chaplet. 10 I think the "T" is actually left out. Chaplet. 11 THE CHAIRMAN: Mr Shieh, it occurs to me that a more 12 expeditious way of approaching this would be to ask the 13 witness outside the hearing room to produce 14 a supplementary statement in which these codes are 15 broken down so that we can follow them, and it would be 16 a one-page statement. 17 MR SHIEH: Perhaps, yes. It's simply the case that whilst 18 he's in the witness box, and to avoid having to ask him 19 to produce a statement subsequently, because I'm not 20 sure whether my learned friends would wish to ask him 21 any questions now or whether they are going to ask to 22 defer anyway. Because if they're going to ask to defer 23 anyway, then the suggestion from you would be sensible. 24 THE CHAIRMAN: I can't imagine that this is controversial, 25 as to what the decoding of these labels mean.</p>

<p style="text-align: right;">Page 77</p> <p>1 MR SHIEH: Mr Yim, would it be possible for you to look at 2 the snapshot at 20:20, and perhaps for assistance 20:15 3 as well, because that is the five minutes before the 4 collision, to look at these two snapshots at page 297 5 for the anchored vessels, to produce something similar 6 to what you have done at page 1876 of the Marine 7 Department bundle, that is to say, in your witness 8 statement? Do you think that is a task that you are 9 prepared to do; not now, but after you have gone out of 10 the witness box. 11 A. Yes, I think so. 12 MR SHIEH: That's very kind of you, thank you. Because 13 I think with that assistance, and also with the 14 information that we might be able to get from the Marine 15 Department as to the characteristics and measurement of 16 the vessel, we should have a fair picture of the nature 17 of the vessels anchored in that vicinity. 18 Thank you very much, Mr Yim. I don't have any 19 further questions for you. 20 THE CHAIRMAN: Mr Shieh, before you sit down, I'm looking in 21 the expert's report at page 268. 22 It's headed "Hong Kong Marine Police", and it 23 produces data as to what I think is the passage of the 24 Sea Smooth. "8038" is the label number. There is in 25 the "Alerts" column, picking it up from the five-minute</p>	<p style="text-align: right;">Page 79</p> <p>1 MR McGOWAN: Yes, please. 2 THE CHAIRMAN: On what basis do you ask for leave? 3 MR McGOWAN: There are one or two matters I'd like him to 4 expand on. 5 THE CHAIRMAN: How is it relevant to your case? 6 MR McGOWAN: Well, I think it's relevant to the depth of the 7 information which is available from the VTC figures on 8 which other witnesses will be placing reliance. 9 THE CHAIRMAN: By that you mean specifically Captain Pryke? 10 MR McGOWAN: Well, yes, in particular. 11 THE CHAIRMAN: We're satisfied that that is an area which 12 you are entitled to cross-examine. Please proceed. 13 THE INTERPRETER: I'm sorry, the witness has something to 14 say. 15 A. There is something I would like to add concerning this 16 set of print-outs. 17 THE CHAIRMAN: Yes. 18 MR McGOWAN: Perhaps I can hand the lectern back to 19 Mr Shieh. 20 THE CHAIRMAN: Yes, very well. 21 MR SHIEH: Yes, Mr Yim? 22 A. In fact the print-out -- just now we have seen items 1 23 to 4, which are the videos. We can see clearly the 24 course and the situation pertaining to the collision of 25 the two vessels. But in fact these are just the</p>
<p style="text-align: right;">Page 78</p> <p>1 period before the collision, the reference "speed high", 2 presumably meaning "high-speed vessel", "collision", and 3 then that is repeated all the way through, and beyond 4 what I understand to be the actual collision. 5 MR SHIEH: Yes. 6 THE CHAIRMAN: Is a Marine Police officer going to speak to 7 that information? 8 MR SHIEH: Yes, I'm going to ask a Marine Police officer to 9 speak to it because this is generated from the Marpol 10 system. 11 THE CHAIRMAN: Thank you very much. 12 MR SUSSEX: Mr Chairman, I wonder if I can ask what page it 13 is. I was looking at page 268 of the expert's bundle. 14 THE CHAIRMAN: Perhaps I gave you the wrong page number. 15 It's page 288. 16 MR SHIEH: Mr Chairman, the plan is to ask the Marpol 17 witness questions equivalent to -- 18 THE CHAIRMAN: No, I follow that. I just wanted to make 19 sure that we don't lose the witness if there was 20 something else he could deal with. 21 MR SHIEH: Yes. 22 MR McGOWAN: Thank you, Mr Chairman. I've got some 23 questions. 24 THE CHAIRMAN: You're asking for leave to cross-examine the 25 witness?</p>	<p style="text-align: right;">Page 80</p> <p>1 cleaned-up versions, and in fact they were particularly 2 made for these two vessels afterwards. In fact, what 3 the officers on duty in the VTC saw on that particular 4 night is what we see on this set of print-outs, and 5 there are three displays, namely DP03, DP04 and DP05. 6 The first two snapshots were taken from DP03, at 20:20 7 and 20:20:17. 8 We can also see that in DP03, it doesn't show the 9 area in the vicinity of Lamma Island. As for the 10 following two snapshots, it is taken from DP04. It 11 shows 20:20:00 and 20:20:17. 12 We can see from the bottom of the snapshot that we 13 can see Lamma Island, but the site of the incident is 14 just out of sight. Also, we can see from the subwindow 15 that Lamma Island was shown, but the site of the 16 incident was also out of it. 17 The last two snapshots were taken from the traffic 18 display. They were taken from DP05. The time shown was 19 20:20:00 and 20:20:17. We can see Lamma Island on the 20 subwindow on the lower left-hand side, bottom. 21 The snapshots pertaining to time 20:20:00, we can 22 see in the subwindow on the lower left-hand side that 23 there are two dots on top, above the Lamma Island. In 24 fact, these are the two vessels in the incident. And 25 the last one, showing the time 20:20:17, we can actually</p>

<p style="text-align: right;">Page 81</p> <p>1 see that the two vessels are starting to collide into 2 each other. And all these snapshots were the images 3 that the operators who were on duty that night sees, and 4 not made up afterwards. 5 THE CHAIRMAN: On that snapshot, the bottom left-hand 6 corner, that's Cheung Chau, is it not? 7 A. Yes. 8 THE CHAIRMAN: The Adamasta Channel, on the far side? 9 A. Adamasta Channel. 10 THE CHAIRMAN: Is that what you want to tell us? That's 11 what you wanted to tell us, that information? 12 A. Yes, because I was afraid that there would be 13 a misunderstanding that the operators on duty on that 14 night could see a very clear image. 15 THE CHAIRMAN: I think we understand what the real picture 16 is. 17 MR SHIEH: It's probably something relevant to what we call 18 part 2, where we may actually enquire as to what the 19 screen would actually look like on the relevant display 20 processor. 21 THE CHAIRMAN: Yes. 22 MR SHIEH: But perhaps not for immediate purposes. 23 THE CHAIRMAN: Thank you. 24 Mr McGowan? 25 Examination by MR MCGOWAN</p>	<p style="text-align: right;">Page 83</p> <p>1 next scan, but it was not the -- but they don't solely 2 rely on it because they would also measure the echo 3 point and also take the error, and then multiply by 4 a parameter to produce the next scan. And the 5 historical data do have some influence, but they don't 6 solely rely on it. 7 Q. I'm not suggesting that it's totally historical, but 8 it's a combination of position dots which have been 9 joined up in the past, and a prediction of where the 10 next ones are going to be, to give the course and speed 11 information? 12 A. Yes, basically the historical factor does have its 13 influence. 14 Q. Despite the sophistication of your radar, you cannot 15 tell what the actual heading of any particular vessel 16 is, can you? 17 A. I agree that since the echoes of the radar can only 18 calculate the COG and SOG, but the heading -- but the 19 radar is not able to tell the accurate heading of the 20 vessels. But as for the AIS data, it can be -- it can 21 input the heading information and send them to us. 22 Q. Yes, but that wouldn't appear on the radar picture; that 23 would appear on the AIS information facility? 24 A. Yes, it won't be shown on the radar label, but it will 25 be shown on the AIS label.</p>
<p style="text-align: right;">Page 82</p> <p>1 MR MCGOWAN: That's really dealt with my first question. 2 Mr Yim, the videos you've shown us and described in 3 your statement are in fact created for the purpose of 4 the investigation into this collision; that's correct, 5 isn't it? 6 A. Yes. 7 Q. What just happened is you've taken the data which was 8 available in the VTC computer and historical computer 9 system, and extracted it to produce those videos to 10 assist the Commission and other people investigating the 11 incident? 12 A. Yes. 13 Q. What the operators in the VTC would be watching while 14 they were on duty would be the radar picture? 15 A. Yes, which are the snapshots I have in hand. 16 Q. If they wanted to, they could then access the computer 17 system to give them the CPAs, for example, or the AIS 18 information or other material which you've displayed to 19 us separately? 20 A. Yes. 21 Q. And the computer system in the VTC centre produces the 22 course and speed over the ground using historical 23 information from previous radar sweeps? 24 A. Basically the historical data was taken as a reference 25 in the tracking system in predicting the position of the</p>	<p style="text-align: right;">Page 84</p> <p>1 Q. Your radar system works on three-second sweeps; is that 2 correct? 3 A. Yes. 4 Q. And if a vessel alters course, the system is going to 5 take some time to catch that alteration of course or 6 turn? 7 A. Yes. 8 Q. I don't know whether you can help us, Mr Yim, but how 9 many sweeps of the system, the radar scanners, do you 10 think are required for the system to catch up with 11 an alteration of course? 12 A. I am not able to tell you how many number of scans is 13 needed to catch the turn, because it depends on the rate 14 of the vessels and whether it is an abrupt change in the 15 course, and also whether the system -- there is 16 an initial setting to catch up such change that has been 17 set in the system. 18 Q. Yes. It's probably not a very -- it's not an unfair 19 question, but not a very clear question. It will take 20 some time for any radar, including the VTS system, to 21 re-establish the particular after a vessel alters 22 course, particularly if it comes round and makes 23 a substantial alteration? 24 A. I agree. 25 Q. If a vessel is particularly manoeuvrable and can alter</p>

Page 85

1 course rapidly without going forward an advanced
2 distance, a lengthy advanced distance, that's going to
3 be even more difficult to be caught on the VTC system?
4 A. Basically I agree with what you said, but it is not
5 about -- but it doesn't mean that it is more difficult.
6 Instead, it needs more time and needs to make more scans
7 to catch it up.
8 Q. Yes. So there's going to be a delay between the
9 alteration of course, and that alteration of course
10 being reflected on the VTC information?
11 A. Agree.
12 Q. If that alteration of course is accompanied by
13 an increase or particularly a reduction in speed, that
14 again is going to require more time for the picture to
15 catch up?
16 A. It can be shown on the radar data, but it takes more
17 scans before it could be reflected on the tracking data.
18 Q. Yes, and the consequence of that is that there will be
19 a delay in determining whether a vessel, using the VTC
20 radar system or any other radar system, has in fact
21 altered course?
22 A. Yes.
23 Q. And the same, certainly to a degree, if a vessel has
24 altered speed?
25 A. Yes.

Page 86

1 Q. Perhaps you can just help us on another matter which
2 I don't think you mentioned in your statement.
3 What is the accuracy of the VTC system in
4 determining, for example, range? I think the technical
5 expression is "range discrimination". Is there an error
6 factor that's been calculated in the system?
7 A. As far as the accuracy of the VTC system is concerned,
8 according to the site acceptance test result, the
9 average position is better than 10 metres, and the
10 average speed is better than 1 knot, and the average
11 course is better than 2 degrees. But we are just
12 talking about the average value and not the
13 instantaneous value. If you take a particular instance,
14 it can be larger than 10 metres.
15 Just now, sir, you have mentioned about the
16 difference between the range discrimination, and
17 accuracy. But in fact they are two different matters.
18 There is a set of values pertaining to accuracy, but
19 I don't remember off-hand the criteria for the range
20 discrimination. But as for the range discrimination, we
21 are talking about the range of the distance for the two
22 vessels that enables them to be identified, to be
23 discriminated by the radar.
24 Q. The figures you've given us for the accuracy are, as
25 you've said, average figures.

Page 87

1 A. Yes.
2 Q. So if you're dealing with a moving target, one which is
3 turning rapidly, the accuracy figures will decrease;
4 that's correct, isn't it, Mr Yim?
5 A. Yes. Yes, during the period of the abrupt change.
6 Q. Yes, and that's true of range and bearing?
7 A. Yes, as far as the range refers to the distance and the
8 positioning. In that case, yes.
9 Q. I think just one other thing. You mentioned
10 discrimination, range discrimination. If targets are
11 too close together, again, the VTC system has difficulty
12 tracking them, doesn't it? There's a merging of
13 targets?
14 A. (Chinese spoken).
15 A. (In English) Yes.
16 Q. And it can take again some time for the VTC to rebuild
17 its picture after two vessels come too close together?
18 A. It's not that it depends on the time needed for the VTC
19 to rebuild, but it depends on the time for the two
20 vessels to disengage from each other.
21 Q. Yes. I accept that. And then as they move apart,
22 again, some time is required to work out which one is
23 which perhaps.
24 A. Yes.
25 MR McGOWAN: Mr Yim, thank you very much. You've been very

Page 88

1 helpful.
2 MR SUSSEX: Mr Chairman, I don't apply to question Mr Yim at
3 this stage but, as you know, we've received a lot of
4 evidence at a very late stage and I have experts working
5 day and night on the matter. It is just conceivable
6 that I may have questions for Mr Yim at a later stage.
7 THE CHAIRMAN: When?
8 MR SUSSEX: Well, when our experts have provided me with the
9 information.
10 THE CHAIRMAN: When?
11 MR SUSSEX: That will probably be sometime after we rise on
12 21 December, the way things are going at the moment.
13 THE CHAIRMAN: Any reason why there should be that delay?
14 MR SUSSEX: Yes, because there's a great deal of material
15 that the experts are working through.
16 THE CHAIRMAN: Forgive me for interrupting. The experts
17 assisting the Commission have been working against the
18 same timetable.
19 MR SUSSEX: My Lord, that's not strictly true because we
20 received --
21 THE CHAIRMAN: Well, a timetable.
22 MR SUSSEX: We received information last Thursday. So
23 there's been less than a week so far that our experts
24 have been working on the material. And we received
25 supplemental report from Captain Pryke after that.

<p style="text-align: right;">Page 89</p> <p>1 THE CHAIRMAN: He's been working on supplemental material 2 that was provided to him late by the Marine Department. 3 MR SUSSEX: Yes, but he has approached that from a running 4 start, as it were. He was apprised of more information 5 beforehand. 6 THE CHAIRMAN: Very well. You'll make your application, if 7 you have one, in due course. 8 MR SUSSEX: Thank you. 9 THE CHAIRMAN: Mr Mok? 10 MR MOK: We have no questions. 11 THE CHAIRMAN: Mr Shieh? 12 MR SHIEH: Mr Chairman, we don't have any follow-up 13 questions. 14 THE CHAIRMAN: Thank you, Mr Yim, for coming here to assist 15 us. We'd be grateful if you could assist us with the 16 other information we asked you about, those anchored 17 vessels. If you could provide that in short form. All 18 we're interested in is finding out what kind of vessels 19 they were, how long, how beamy, things that go to the 20 issue of whether or not they were a factor in 21 visibility. That's all. Thank you very much. 22 (The witness withdrew) 23 THE CHAIRMAN: You're welcome to stay if you wish, Mr Yim. 24 It's up to you. 25 Mr Shieh, the documents that you obtained from</p>	<p style="text-align: right;">Page 91</p> <p>1 A. (In English) Yes. 2 Q. What I propose to do is to ask you whether or not you 3 agree with the contents of this statement or whether you 4 have anything to add or supplement, and then I'm going 5 to ask you to comment very briefly on the attachments. 6 A. There is an amendment that needs to be done in the 7 attachment, which is there is an amendment that needs to 8 be done pertaining to supervisor log. 9 Q. The supervisor log which is in the bundle at page 1880? 10 A. Yes. 11 Q. What amendment do you wish to make? 12 A. On that page, on the upper left-hand corner of that 13 page, in the third box, there is a space next to 14 point 22. On that day, there were four persons on duty, 15 but the supervisor has left out two. He put that in 16 afterwards. 17 There should be six persons on duty, but only two 18 were put on that log. Two of them have been left out. 19 Q. You are talking about the 22:00 entry in the "Time on" 20 column, are you? Or are you talking about the box below 21 that? 22 A. I am talking about the space below that. 23 Q. The box or the table which starts with "Weather Signal"? 24 A. Yes. 25 Q. In that table, at the bottom right-hand corner, there is</p>
<p style="text-align: right;">Page 90</p> <p>1 Mr Mok to which reference has been made, they ought to 2 be in due course -- 3 MR SHIEH: Given an exhibit number? 4 THE CHAIRMAN: Well, scanned and paginated. I think that's 5 all we need to do. So give that thought and tell us 6 tomorrow where they've been put. 7 MR SHIEH: Yes, very well. 8 I now propose to call the second witness for the 9 Commission, Mr Ma Chi-tak, also from the Marine 10 Department. 11 THE CHAIRMAN: Very well. Where do we find his statement? 12 MR SHIEH: His statement is in Marine Department bundle 8, 13 page 1878. 14 Could the witness be shown his own statement. 15 THE CHAIRMAN: Have you got your statement? 16 Before that happens, let me ask you to take the oath 17 or the affirmation as you choose. Would you stand to do 18 so. 19 MR MA CHI-TAK (affirmed in Punti) 20 (All answers via interpreter unless otherwise indicated) 21 Examination by MR SHIEH 22 MR SHIEH: Mr Ma, please look at the document in front of 23 you from Marine Department bundle 8, page 1878, which is 24 a statement that you made on 29 November. You signed it 25 on the next page at 1879. Do you recognise this?</p>	<p style="text-align: right;">Page 92</p> <p>1 an entry of 22:00. 2 A. Yes. 3 Q. Could you explain to us, perhaps more slowly, how the 4 supervisor had added or amended or added in the two 5 missing names? 6 A. After he discovered that two staff, the names of two 7 staff had been left out, he put it back and put in the 8 signature afterwards. 9 THE CHAIRMAN: Is that the original book you have in front 10 of you? 11 A. (In English) Yes, that's right. 12 THE CHAIRMAN: May we have a look at that? Because that 13 might even be legible. 14 (Handed). 15 If you don't mind, we'll copy it with a proper 16 copying machine. 17 A. Okay. 18 MR SHIEH: Mr Chairman, the proposal is that we will have 19 a separate bundle comprising documents that are handed 20 up during the hearing. It's almost like an exhibit 21 bundle. 22 THE CHAIRMAN: Proceed as you wish, although there is some 23 merit in -- well, certainly paginate documents. That's 24 the way to keep track of them. 25 MR SHIEH: Yes, yes.</p>

Page 93	Page 95
<p>1 THE CHAIRMAN: There is merit, of course, in having 2 documents in areas -- where you have lots of paper -- 3 where they should fit, rather than just putting them in 4 an extra bundle. 5 MR SHIEH: Yes. 6 THE CHAIRMAN: Then you find you have things that, for 7 example -- 8 MR SHIEH: There may be a hodgepodge of documents belonging 9 to one bundle which make it rather more difficult 10 later -- 11 THE CHAIRMAN: So if we're interested, for example, in VTC 12 data, it should be in -- 13 MR SHIEH: In the Marine Department bundle, rather than a 14 separate bundle called "Documents handed up". We'll 15 take stock on that. 16 THE CHAIRMAN: Give that some thought. 17 MR SHIEH: Yes. 18 Mr Ma, what you are saying is that the document at 19 page 1880 in front of you is different from the original 20 book that you have just handed up and which we will be 21 seeing in due course? 22 A. Yes. 23 Q. Because that book contains entire which were 24 subsequently added? 25 A. Yes, correct.</p>	<p>1 record, because some of the handwriting is a little bit 2 illegible. 3 A. (In English) "Reported that she had collision with 4 Lamma IV off north Lamma Island. A number of passengers 5 on board Lamma IV were falling overboard. HPS, Marpol 6 and FSD were informed. MRCC carried search and rescue 7 operation. TTT-186 in place. SMO/VTC and AD/PC 8 informed." 9 Q. A number of questions arise. Mr Ma, you mentioned in 10 that entry "HPS", in the second line. Could you help us 11 with what "HPS" stands for? 12 A. It stands for "Harbour Patrol Section". It is a patrol 13 team of the Marine Department. 14 Q. The next line, "MRCC"? 15 A. (In English) Are you saying "Marpol" or "MRCC"? 16 Q. The next line. 17 A. (In English) Next line, okay. 18 A. It stands for Maritime Rescue Co-ordination Centre. 19 Q. Maritime Rescue Co-ordination Centre, thank you. 20 "TTT-186" is? 21 A. It is the serial number of the safety message. This one 22 is the number 186 notice of this year. 23 Q. "SMO/VTC"? 24 A. (In English) Senior marine officer of Vessel Traffic 25 Centre.</p>
Page 94	Page 96
<p>1 Q. Very well. But perhaps we can actually proceed with our 2 your evidence in the absence of that book, because what 3 I'm interested in is actually the content of the logs. 4 Can I direct your attention to page 1880, in the 5 middle, where your box helpfully described the four 6 columns: 20:25, VHF-14, Hai Tai, and VTC. Do you see 7 that? 8 A. Yes. 9 Q. Can you identify which individual it was who actually 10 wrote them in? Was it you? 11 A. Yes, it was written by me. 12 Q. Right. Because the box in the next column, the 13 substance of the remarks were identified as being made 14 by you. 15 A. Yes. 16 Q. So do I take it that this entry in the log was actually 17 made by you as a result of you receiving a VHF call on 18 channel 14 from the vessel Sea Smooth? 19 A. This was written by me according to the information 20 provided to me from my colleagues. 21 Q. I see. So you were not the person who received the VHF 22 call; your colleague received the call and he passed 23 information to you, and you logged the entry? 24 A. Yes. 25 Q. Perhaps you can read out the handwritten log for the</p>	<p>1 Q. When you mentioned TTT-186, you said that it is a safety 2 message. 3 A. Yes. 4 Q. What sort of safety message is it? 5 A. It is a message broadcasted to the vessels on the sea 6 that this incident has happened, and they were reminded 7 to exercise more caution and to report any abnormalities 8 to the Marine Department and to escalate their look-out. 9 Q. So it's a broadcast made to vessels in immediate 10 response to this incident, on the spot? 11 A. Yes. 12 Q. Thank you. "AD/PC" stands for what? 13 A. That means our assistant director of port control. 14 Q. Thank you. Can I ask you to move on to the next page, 15 1881. This is the Port Management Office log; is that 16 right? 17 A. Yes. 18 Q. Where is this Port Management Office located? 19 A. It is located in another room on the same floor as the 20 VTC. 21 Q. Right. And the relevant entry is entered by someone 22 called Mr Andrew Kwok, right? 23 A. Yes. 24 Q. So Port Management Office received a fax notification at 25 20:50 from VTC, whereupon Andrew Kwok made this log?</p>

<p style="text-align: right;">Page 97</p> <p>1 A. Yes, correct. 2 Q. I know it's not your handwriting, but could you help us 3 in reading out what you think to have been written 4 there, "Received" what? 5 A. I am going to read from this original copy, because it 6 is quite illegible in the copy: 7 "Received IIR from VTC regarding a collision between 8 'Hai Tai' and 'Lamma IV' near Shek Kok Tsui (Lamma 9 Island)." 10 Q. What is "IIR"? 11 A. (In English) Initial incident report. 12 Q. Initial incident report? 13 A. (In English) Initial incident report. 14 Q. "Incident"? 15 A. "Incident". 16 MR SHIEH: Mr Chairman, since the witness is actually 17 referring to the original log, and I'm going to actually 18 ask him similar questions about what's been entered into 19 the log in relation to the next log, which is also 20 rather illegible, I wonder whether there's a better way 21 of dealing with it? That is to say, he could actually 22 hand over the original log for better copies to be made 23 now, so that we could actually -- 24 THE CHAIRMAN: How much more by way of questioning do you 25 have of him?</p>	<p style="text-align: right;">Page 99</p> <p>1 between the systems -- 2 THE CHAIRMAN: And then? 3 MR SHIEH: -- followed by Captain Pryke. 4 THE CHAIRMAN: Very well. 5 Yes, Mr McGowan? 6 MR McGOWAN: Sir, you were asking me this morning about 7 materials for the naval architect. We can let the 8 restricted request dealing with -- 9 THE CHAIRMAN: Documents? 10 MR McGOWAN: -- those sort of items. We should be able to 11 let Lo & Lo have all the ones that we have that are 12 being asked for by Friday noon. 13 THE CHAIRMAN: Thank you very much. That will enable our 14 experts to examine them and see if there are other 15 enquiries they need to make as a result. Thank you for 16 your co-operation. 17 10 o'clock tomorrow. 18 (4.31 pm) 19 (The hearing adjourned until 10 am on the following day) 20 21 22 23 24 25</p>
<p style="text-align: right;">Page 98</p> <p>1 MR SHIEH: I'm simply going to ask him to identify the 2 relevant entries and tell us what they are and then 3 explain the relevant abbreviations. 4 THE CHAIRMAN: Very well. 5 How many of these logs do you have with you, Mr Ma? 6 A. Three copies. 7 THE CHAIRMAN: Would you be kind enough perhaps to mark the 8 relevant page with a Post-it sticker, if someone could 9 give you one, and then overnight we'll copy them and 10 we'll ask you to speak to the original tomorrow. 11 A. Yes. 12 THE CHAIRMAN: Thank you very much. 13 It follows then that we're going to have to ask you 14 to return tomorrow to continue your evidence, because 15 we've now reached the end of our day. We'll resume 16 tomorrow at 10 o'clock, if you'd be kind enough to be 17 here in good time so that we can start at 10 o'clock. 18 Thank you. 19 MR SHIEH: Mr Chairman, after Mr Ma, I'm going to call 20 Mr Yau Wing-hang, who is from the Marine Police, who 21 will speak to the equivalent of what Mr Yim has spoken 22 to this morning in relation to the print-out from the 23 Marine Police system. Then after that we are going to 24 call the gentleman from the service supplier, the 25 equipment supplier, to explain any possible discrepancy</p>	<p style="text-align: right;">Page 100</p> <p>1 I N D E X 2 3 Opening submissions by MR SHIEH2 4 MR YIM KIT-MING (affirmed in Punti)27 5 Examination by MR SHIEH28 6 Examination by MR McGOWAN81 7 (The witness withdrew)89 8 MR MA CHI-TAK (affirmed in Punti)90 9 Examination by MR SHIEH90 10 11 12 13 14 15 16 17 18 19 20 21 22 23 24 25</p>