

Page 1	Page 3
<p>1 Friday, 25 January 2013</p> <p>2 (10.00 am)</p> <p>3 MR SHIEH: Mr Chairman, Mr Commissioner, overnight Dr Cheng</p> <p>4 has, I believe, performed the task that the Commission</p> <p>5 asked of him in filling up the plan that we can find in</p> <p>6 FS bundle 3.</p> <p>7 THE CHAIRMAN: Can we put that on the screen.</p> <p>8 MR SHIEH: It is now expert evidence bundle, page 398-1.</p> <p>9 THE CHAIRMAN: Yes.</p> <p>10 MR SHIEH: But by way of background, this is originally</p> <p>11 a document that one can find in FS bundle 3 at page 663.</p> <p>12 The current version on the screen is one Dr Cheng has</p> <p>13 kindly marked up overnight.</p> <p>14 THE CHAIRMAN: Yes.</p> <p>15 MR SHIEH: Perhaps I can start off by asking Dr Cheng to</p> <p>16 perhaps comment on what he has done.</p> <p>17 DR CHENG YUK-KI (on former affirmation)</p> <p>18 THE CHAIRMAN: Thank you for doing that, first of all,</p> <p>19 Dr Cheng.</p> <p>20 May I remind you that you continue to give your</p> <p>21 evidence according to your original affirmation.</p> <p>22 Examination by MR SHIEH (continued)</p> <p>23 MR SHIEH: Dr Cheng, on the screen and I hope in front of</p> <p>24 you is a plan of the windows looked at on the port side</p> <p>25 and the starboard side of Lamma IV, where you have</p>	<p>1 wheelhouse.</p> <p>2 A. Correct, correct.</p> <p>3 Q. Yes. We can see in the picture very soon. And G8 is</p> <p>4 a sliding window which was closed?</p> <p>5 A. Yes.</p> <p>6 Q. A similar notation applies to the main deck. I don't</p> <p>7 believe we need to go through that was because the</p> <p>8 legends are self-explanatory.</p> <p>9 The shattered sliding windows are all found on the</p> <p>10 main deck?</p> <p>11 A. Yes.</p> <p>12 Q. Thank you. Could I now ask you to return to the text of</p> <p>13 your expert report, where we stopped yesterday, and that</p> <p>14 is in the expert evidence bundle, page 370. We stopped</p> <p>15 at paragraph 3.4.6, and we were on the point about the</p> <p>16 red paint, the strip of red paint smear which you took</p> <p>17 the view to represent the existence of a pipe which had</p> <p>18 been lost.</p> <p>19 A. Yes.</p> <p>20 Q. At this juncture could I ask you to return to the</p> <p>21 previous page at 369, because I should actually put to</p> <p>22 you what Dr Armstrong said about your paragraph 3.4.4.</p> <p>23 You have had a chance of reading Dr Armstrong's two</p> <p>24 reports now?</p> <p>25 A. Yes.</p>
Page 2	Page 4
<p>1 kindly marked the sliding windows. You have also kindly</p> <p>2 given a legend as to what the various notations mean.</p> <p>3 So if we could go through that. On the port side window</p> <p>4 R4 is a sliding door which is closed, because it says</p> <p>5 "S(C)"; correct?</p> <p>6 A. Correct.</p> <p>7 Q. Just to perhaps make sense of the notation, the windows</p> <p>8 are recorded as "R" and "G" because of red and green;</p> <p>9 right? Red for port and green for starboard?</p> <p>10 A. Correct.</p> <p>11 Q. The next sliding door on the port side is R8, which was</p> <p>12 closed at the time of your inspection?</p> <p>13 A. Sliding window.</p> <p>14 Q. Sliding window, which was closed at the time your</p> <p>15 inspection?</p> <p>16 A. Yes.</p> <p>17 Q. On the starboard side, there is only one sliding window</p> <p>18 which was open, G4; correct? It is at the bottom,</p> <p>19 starboard side. You marked it S(O).</p> <p>20 A. Yes, G4, all are sliding window.</p> <p>21 Q. Which was open.</p> <p>22 A. Yes.</p> <p>23 Q. Your notation straddled G3 and G4, but the actual window</p> <p>24 is G4, because you will see in a minute the actual</p> <p>25 photo. Because G3 is actually a window in the</p>	<p>1 Q. You may recall Dr Armstrong had made a comment on your</p> <p>2 paragraph 3.4.4, but I will take you through that</p> <p>3 slowly.</p> <p>4 A. Yes.</p> <p>5 Q. Paragraph 3.4.4, as you can see, you commented on the</p> <p>6 existence of deep blue paint smears in a position near</p> <p>7 the centreline. Do you see that; the fifth and the</p> <p>8 sixth lines?</p> <p>9 A. Yes, I saw.</p> <p>10 Q. The relevant photograph is photograph 19, which we can</p> <p>11 find at page 391 of the bundle. That was where you</p> <p>12 depicted, or the photograph showed, the deep blue paint</p> <p>13 smears.</p> <p>14 A. Yes.</p> <p>15 Q. Could I ask you to turn to the same bundle, page 474.</p> <p>16 This is where Dr Armstrong, in his second report,</p> <p>17 commented on your report. At paragraph 9, Dr Armstrong</p> <p>18 said:</p> <p>19 "Subsequent to completion of my report ..."</p> <p>20 By that, he meant his first report, which he</p> <p>21 compiled before seeing yours.</p> <p>22 A. Yes.</p> <p>23 Q. "... I have read the statement of Dr Cheng Yuk-ki,</p> <p>24 forensic scientist at The Hong Kong Government</p> <p>25 Laboratory. There are no obvious disagreements between</p>

Page 5	Page 7
<p>1 the findings contained in the report of Dr Cheng and my 2 own report, and some of the issues raised by Dr Cheng 3 have helped to clarify some items in my report, 4 specifically ..."</p> <p>5 (a) we can skip over for the time being, save 6 perhaps to remind my learned friend to follow up on the 7 documentation concerning the dismantling of the metal 8 plating. But at (b), you can see:</p> <p>9 "The blue paint smear referred to in paragraph 3.4.4 10 of Dr Cheng's report ..."</p> <p>11 Which is the paragraph we have just seen; correct?</p> <p>12 A. Yes.</p> <p>13 Q. "... and illustrated in his photograph 19 ..."</p> <p>14 In fact, it's photographs 19 and 20. I think they 15 both depict the sort of damage that we could find on the 16 port side. The blue smears were actually found at 17 photograph 19.</p> <p>18 A. Correct.</p> <p>19 Q. But we'll read on:</p> <p>20 "... provides excellent correlation with the sketch 21 included in my report in appendix IV on page 64, being 22 the plan view of the two collided craft at an elapsed 23 time of 2.0 seconds and showing the calculated maximum 24 extent of penetration of Sea Smooth into Lamma IV. This 25 sketch is reproduced in appendix 4 item 18, showing the</p>	<p>1 Page 461, 1.1 second. And page 462, 2 seconds.</p> <p>2 As I say, no need to be absolutely arithmetically 3 precise --</p> <p>4 A. Okay. I understand.</p> <p>5 Q. -- because, as you would know, being a scientist, these 6 all depend on the assumptions and the underlying data 7 you put.</p> <p>8 A. Yes.</p> <p>9 Q. You would agree with that?</p> <p>10 A. Agree.</p> <p>11 Q. At page 462 is the plan or the sketch which Dr Armstrong 12 referred to in the relevant part of his report, which he 13 actually reproduced but with a colour scheme in his 14 second report at item 18.</p> <p>15 Could I ask the screen to show page 486.</p> <p>16 Page 486 is actually the same as page 462, except 17 that there is a blue colour in the middle; you can see 18 that, Dr Cheng?</p> <p>19 A. Yes, I saw it.</p> <p>20 Q. I think the point Dr Armstrong was seeking to make is 21 that your discovery of the blue paint smear actually 22 coincided or provides a very good correlation with his 23 independent finding based on his sketches as to the 24 maximum point of penetration.</p> <p>25 A. Yes.</p>
<p>Page 6</p> <p>1 location of the blue paint smear from Sea Smooth within 2 the cabin of Lamma IV, and thus representing the maximum 3 penetration of one craft into the other."</p> <p>4 Now, let's trace through the way in which 5 Dr Armstrong introduced his various sketches in his 6 first report. Could I ask you to turn to the same 7 bundle, page 462. In fact, we should start, to make 8 sense of this page, from page 456.</p> <p>9 Dr Cheng, I think for present purposes it is 10 probably not necessary for us to go into great detail as 11 to the minute measurement of each of these sketches.</p> <p>12 A. Okay. I agree.</p> <p>13 Q. Do you agree? Because I think Dr Armstrong was simply 14 trying to demonstrate a point about the almost exact 15 correlation with his own independent finding --</p> <p>16 A. Yes.</p> <p>17 Q. -- together with your actual inspection on the spot.</p> <p>18 You can see that from page 456 onwards, Dr Armstrong 19 was trying to reconstruct, based on his calculations, 20 the manner in which the two vessels moved relative to 21 each other and their relative position from the point of 22 impact onwards.</p> <p>23 Page 456 represents the point of impact, 0 seconds. 24 Page 457, 0.15 seconds. Page 458, 0.31 seconds. 25 Page 459, 0.57 seconds. Page 460, 0.82 seconds.</p>	<p>Page 8</p> <p>1 Q. Because if you page 486, and if we were to zoom in on 2 the blue line, that point of maximum penetration or the 3 point of contact between the port hull of Sea Smooth was 4 where around about the place where you discovered the 5 blue paint mark.</p> <p>6 A. Yes.</p> <p>7 Q. And Dr Armstrong regarded that as providing some support 8 for his sketches.</p> <p>9 Looking at the series of sketches which Dr Armstrong 10 had done, would you agree that that represents broadly 11 the manner of penetration of Sea Smooth into Lamma IV at 12 the material time?</p> <p>13 A. Yes. First, I agree the position marked by 14 Dr Armstrong, which is where I observed my blue paint 15 smear.</p> <p>16 Q. That's page 486?</p> <p>17 A. Yes.</p> <p>18 Q. Thank you.</p> <p>19 A. Also I agree the sketch that the penetration should be 20 depicted at page 486. That's why the air-conditioning 21 unit at the rear was also crushed.</p> <p>22 Q. Perhaps with the help of the cursor, you could find out 23 where on this sketch the air-conditioning unit was.</p> <p>24 A. Next to the blue smear. Yes, the rectangular -- yes, 25 this one.</p>

Page 9	Page 11
<p>1 Q. Yes. So that represents the crushed air-conditioner 2 unit? 3 A. Correct. 4 Q. Which in fact was crushed -- 5 A. Yes. 6 Q. -- as you observed. 7 Thank you very much, Dr Cheng, for that. 8 We now return to the text of your report page 370. 9 We had finished paragraph 3.4.6 yesterday. 10 Paragraph 3.4.7, you talked about fallen ceiling panels 11 and life jackets. Paragraph 3.5.1, you described the 12 wheelhouse. 13 Paragraph 3.6.1, you describe the upper deck cabin. 14 There was a 0.7-metre-wide door aft opened out to the 15 weather deck. There was another 0.7 metre door at the 16 front which opened out to the wheelhouse. The centre 17 was a staircase to the main deck. So that was the 18 staircase leading down; correct? 19 A. Correct. 20 Q. "There were a total of 12 windows on both sides, of 21 which 4 were sliding windows and 8 were fixed windows." 22 Could I ask you to look at your sketch of the 23 windows at page 398-1. 24 If we look at the top, the main deck, we can 25 actually see on both port and starboard, they run from</p>	<p>1 G7; correct? 2 A. G7, correct. 3 THE CHAIRMAN: Do we have any photographs of the nature of 4 the catch or the locking mechanism on the sliding 5 window? 6 MR SHIEH: Which enables one to open it. We'll follow that 7 up. 8 THE CHAIRMAN: Thank you. 9 MR SHIEH: It will probably be in either M1 or the police 10 album. We'll follow that up, Mr Chairman. It is being 11 followed up. 12 Whilst we are on this photograph, page 392, we can 13 see a solitary pair of chairs on the left-hand side. Do 14 you see that, the pair of chairs? 15 A. Yes. 16 Q. The white chairs. That represents the only remaining 17 set of chairs that you could find on the scene. 18 A. Yes. In the upper deck cabin. 19 Q. Yes, during your inspection. 20 A. Yes. 21 Q. All the rest were -- 22 A. Missing. 23 Q. -- missing. 24 THE CHAIRMAN: That's one chair, is it not? 25 A. Just one.</p>
Page 10	Page 12
<p>1 R1 to R9, and G1 to G9; correct? 2 A. Yes, the upper deck. 3 Q. Yes. But of these windows, the three in front, R1 to R3 4 and G1 to G3, those actually are in the wheelhouse and, 5 therefore, for the purpose of the deck, we ignore those; 6 correct? 7 A. Correct. 8 Q. Therefore it's really G4 onwards to G9, and R4 onwards 9 to R9 which were the windows that you saw in the main 10 deck cabin; correct? 11 A. I call it upper deck cabin. 12 Q. Upper deck cabin, sorry. 13 A. Correct. 14 Q. Thank you. 15 "Most of the windows measured 0.9 metres wide by 16 0.7 metres high. Only the first sliding window on the 17 starboard side was open and its opening was measured to 18 be about 0.4 metres wide by 0.7 metres high." 19 If you look at the photograph at page 392, I think 20 that shows it. This depicts the starboard side. The 21 window that was open, which is shown by the red arrow on 22 the left-hand side, that actually corresponds to window 23 G4; correct? 24 A. Correct. 25 Q. Thank you. And the fixed window corresponds to window</p>	<p>1 MR SHIEH: Sorry, just one. 2 A. Just one. 3 Q. Yes, with four legs mounted. Just one. 4 Because in the next paragraph, you mentioned in the 5 first sentence: 6 "The upper-deck cabin was almost bare and had only 7 one seat near the entrance to the wheelhouse ..." 8 That is the one we have just seen? 9 A. Yes. 10 Q. "... which disagreed in the seating arrangement with the 11 deck plan." 12 I take it that you mean on the deck plan there 13 should be far more chairs than only that chair? 14 A. Yes. 15 Q. "The only seat, with an appearance agreed with those in 16 the main deck cabin, had a white plastic seat and 17 back ..." 18 What do you mean by "with an appearance agreed with 19 those in the main deck cabin"? Because in your 20 terminology, "main deck" is the deck below? 21 A. Yes. 22 Q. Right, okay. 23 "The only seat ... had a white plastic seat and back 24 with four metal legs, each having a rectangular mounting 25 plate at the base, which was secured to the deck by</p>

Page 13	Page 15
<p>1 a pair of 2.7 cm screws (see photo 23 ...)." 2 That we can find at page 393. Dr Cheng, that is the 3 photo taken of the actual mounting plate of that 4 remaining chair? 5 A. Correct. 6 Q. No bolts? 7 A. No bolt, and -- 8 Q. Because if there had been bolts actually, the screw 9 would have been screwed in from the bottom and the bolts 10 would appear where you can see? 11 A. There should be a nut underneath the floor. 12 Q. Yes, yes. 13 A. So I went -- and this, the shape and the size indicate 14 this is a screw, because it has a tapered end. 15 Q. Yes. 16 A. For a bolt, it should have a flat bottom. 17 Q. Yes. 18 THE CHAIRMAN: And you attach a nut to the bottom of the 19 bolt? 20 A. Yes. 21 THE CHAIRMAN: With a washer? 22 A. Yes, correct. Usually should have a washer. 23 THE CHAIRMAN: Because that spreads the force, doesn't it? 24 If you have a washer, it spreads the force? 25 A. So the nut will not be loosened easily, have the washer.</p>	<p>1 on the vessel; is that right? 2 MR SHIEH: I think posted on the walls. 3 A. Yes. 4 THE CHAIRMAN: Have we got a photograph of that? 5 A. I have seen this deck plan in the court, in here. 6 MR SHIEH: Yes. 7 A. It should be the one -- let me see. 8 MR SHIEH: Again it's something we'll follow up on because 9 it was touched on yesterday as being found on the wall, 10 and I think there was a reference to a photograph. 11 THE CHAIRMAN: This is photographed in one of the bundles. 12 MR SHIEH: Yes. It's being located, but can I move on while 13 it's being located? 14 THE CHAIRMAN: Yes. 15 MR SHIEH: "Numerous screws, agreeing in dimension and 16 general appearance with those for securing the only seat 17 in the upper deck cabin, were found at the rear end of 18 the cabin. Further examination of the rectangular 19 imprints revealed most of them, each having a pair of 20 holes 6 cm apart, but at least 10 of them having at 21 least one or two additional holes, suggesting that the 22 seats for these positions could have been remounted for 23 at least once previously." 24 For the photograph, we can find it at page 394. 25 Could you explain to us your reference to the two</p>
Page 14	Page 16
<p>1 THE CHAIRMAN: Yes, because the force is spread. 2 A. Yes, correct. 3 MR SHIEH: You made a comparison with a bolt that you could 4 find for the seats in the main deck cabin, and by way of 5 comparison, if we look at page 390, that's where we can 6 see the bolt. That's correct? 7 A. Yes, correct. 8 Q. That's the contrast that you were seeking to draw? 9 A. Correct. 10 Q. Thank you. 11 "Rectangular imprints with a pair of holes agreeing 12 in size and shape with the mounting plates of the legs 13 were found on the deck of the upper deck cabin ..." 14 We can see page 393, photo 24. That's the 15 rectangular imprint that you refer to? 16 A. Yes. 17 Q. But this is a sample, because you say "rectangular 18 imprints", so there are many of these? 19 A. Many, many. 20 Q. Many of these. 21 "... and the arrangement of the imprints was found 22 to agree with the seating arrangement as depicted in the 23 deck plan, having eight rows. Numerous ..." 24 THE CHAIRMAN: Have we located the deck plan that Dr Cheng 25 was referring to? This, I understand, was one he found</p>	<p>1 holes? Basically we can see two pairs of holes. 2 A. Yes. 3 Q. If the cursor move perhaps to 10 o'clock. 4 A. This one? 5 Q. Yes, this hole, together with this hole (indicates) -- 6 A. A pair. 7 Q. -- would be a pair? 8 A. Correct. 9 Q. And the hole next to -- this hole together with this 10 hole (indicates) represents -- 11 A. Another pair. 12 Q. -- another pair? 13 A. Correct. 14 Q. That's why you drew the conclusion that perhaps after 15 one pair has been mounted, it's been dismantled or 16 detached and moved to the other position and remounted 17 and that resulted in the other pair of holes? 18 A. Yes, correct. 19 MR SHIEH: Thank you. 20 Mr Chairman, the search for that deck plan is 21 underway. 22 THE CHAIRMAN: Thank you. 23 MR SHIEH: Paragraph 3.6.3: 24 "The deck of the upper deck was made up of material 25 similar to that of the side panel of the main deck</p>

<p style="text-align: right;">Page 17</p> <p>1 cabin, having vinyl tiles over approximate 3 mm thick 2 fibreboard on top of approximate 3 cm thick green foam 3 (see photo 26)." 4 That's page 394. We can see the foam in the middle, 5 the fibreboard layer, and then covered by the tile. 6 A. Yes. 7 Q. Just to follow up, this hole was created just for the 8 purpose of your inspection? 9 A. Yes, correct. Made by me. 10 Q. By you. Thank you. 11 "Therefore, the anchorage of 2.7 cm screws for 12 securing the only seat ... depended on the strengths of 13 the fibreboard and foam." 14 I will have more questions to ask about the 15 mechanism for securing the seats later, because you have 16 devoted a certain section about your test of the 17 strength of the mounting. But I'll move on. 18 Paragraph 3.6.4: 19 "Examining the row of 5 connected seats, reportedly 20 salvaged from the scene on 31 October 2012, revealed the 21 two holes of its middle front mounting plate attached 22 with heads of two rivets and their snapped cylindrical 23 shafts." 24 For that, we look at page 395. On the deck, 25 corresponding to the position of the middle -- first of</p>	<p style="text-align: right;">Page 19</p> <p>1 deck? 2 A. Okay. For a row of five seats, it will have a total of 3 six legs, three in the front, three in the bottom. That 4 is a whole metal frame, a whole metal frame. So this 5 metal frame was secured to the floorboard through these 6 six legs. 7 THE CHAIRMAN: Three at the front, three at the back? 8 A. Yes, correct. And all the vices was mounted on the 9 metal frame. 10 THE CHAIRMAN: And this is one illustration of the six 11 mounting plates? 12 A. Yes. 13 THE CHAIRMAN: But all six had failed? 14 A. Just -- I found only this, the middle front leg, used 15 the rivet. For the other legs, I think the screw should 16 be used because I cannot find the remnant of the rivet. 17 THE CHAIRMAN: So only one of the six attachments was this 18 rivet method of doing it? 19 A. Yes. 20 THE CHAIRMAN: And that was middle front? 21 A. Middle front, correct. 22 THE CHAIRMAN: The others were all screws? 23 A. Correct. 24 THE CHAIRMAN: Self-tapping screws? 25 A. Yes, the self-tapping screw.</p>
<p style="text-align: right;">Page 18</p> <p>1 all, can you confirm that the top of page 395 is what 2 you are talking about, the row of five connected seats? 3 A. Yes, the middle front legs belong to. 4 Q. Yes. The two holes of its middle front mounting plate? 5 A. Yes. 6 Q. Can you identify the snapped cylindrical shafts? 7 A. It cannot be revealed in this photograph. Should be 8 look from the bottom of the mounting plate of the legs. 9 So we can just see the rivet head here. 10 Q. Because they would be buried in the hole? 11 A. Yes. 12 Q. Basically the shaft broke? 13 THE CHAIRMAN: These were secured by rivets to a plate? 14 A. Yes, correct. 15 THE CHAIRMAN: And the rivets failed? 16 A. Yes. 17 MR SHIEH: Basically it broke? 18 A. Yes, broken into two parts. 19 Q. Yes, and one part was actually buried in the hole, which 20 we can't see now? 21 A. Yes. 22 THE CHAIRMAN: Just so that I can understand this. There 23 were five seats in a row connected to one another? 24 A. Yes, correct. 25 THE CHAIRMAN: How were all five of them secured to the</p>	<p style="text-align: right;">Page 20</p> <p>1 THE CHAIRMAN: So they'd pulled out? 2 A. Yes, already pulled. 3 THE CHAIRMAN: Because they weren't there? 4 A. Yes. 5 MR SHIEH: I was trying to see if we could have a pictorial 6 depiction of what the five-seat would have looked like. 7 Dr Cheng, if I could trouble you to look at the 8 police album, album III. This is a series of 9 photographs I will ask you to look at when we get to the 10 weather deck, but I think we might as well look at it 11 now. Page 168. 12 Can you see the row of five chairs lying down? 13 A. Yes, but this is not the one salvaged on 31 October. 14 This is the other set of seats. 15 Q. So the five seats that you saw -- 16 A. Looked like this one. 17 Q. Looked like this one? 18 A. Yes, the same. 19 Q. Yes. I was trying to match, because in your album you 20 did not take a picture of the five seats. 21 A. Okay. 22 Q. But I was trying to see if this one matched. 23 So this one looks like the sort of five-seat 24 structure? 25 A. Yes. So you can see the metal frame on the left side,</p>

Page 21	Page 23
<p>1 and a total of six legs. 2 Q. Six legs? 3 A. Yes, correct. 4 THE CHAIRMAN: So the legs are in a U-shape -- 5 A. Yes. 6 THE CHAIRMAN: -- presenting three of the front, and the 7 other side of the U presents three at the back? 8 A. Yes, correct. And the chair I used is in page 352. 9 MR SHIEH: Of the album? 10 A. Yes, of the album. Correct. 11 Q. Page 352. Right. This is album VII, photographs taken 12 on 2 November? 13 A. Yes. 14 THE CHAIRMAN: This is a photograph of a set of chairs that 15 survived in situ on the port side of the aft upper deck, 16 is that right, within the cabin? 17 A. Yes. 18 MR BERESFORD: Mr Chairman, I'm not sure if they survived in 19 situ. I think they've just been -- 20 MR SHIEH: Because the whole deck was empty except for that 21 one solitary chair outside the wheelhouse. This was 22 probably reconstructed. 23 THE CHAIRMAN: Is that the case, this is simply 24 a reconstruction? 25 A. Correct.</p>	<p>1 A. Yes. 2 Q. Thank you. And again, three legs in front, three legs 3 at the back; correct? 4 A. Yes. 5 Q. Thank you. Perhaps we can return to the text of your 6 report at paragraph 3.6.4. You said: 7 "On the deck, corresponding to the position of the 8 middle front leg of the last third row of seats on the 9 port side was a rectangular metal plate of about 12 cm 10 by 5 cm, which had been screwed to the deck by four 11 pieces of screws. In the middle of the rectangular 12 metal plate were two holes 6 cm apart each engaged with 13 a snapped rivet tail. When the 5-seated bench was 14 placed according to the rectangular imprints on the 15 deck, the two rivet heads matched with the two rivet 16 tails ... strongly indicated that the middle front leg 17 of the bench had been affixed to the deck using two 18 rivets. Removing the rectangular metal plate revealed 19 two holes on the deck, which appeared larger than the 20 other screw holes for mounting the seats." 21 First of all, the five-seated bench you talked about 22 is one that we have just seen? 23 A. Correct. 24 Q. You say: 25 "Removing the rectangular metal plate revealed two</p>
Page 22	Page 24
<p>1 THE CHAIRMAN: Matching up the holes in the deck with the 2 legs? 3 A. Yes. This is the position, we can find a metal plate 4 with a rivet tail, and I cannot find any rivet tail in 5 the middle row because I finally found one on the left 6 side, but I did not make a detailed examination. But 7 this is the only position I can match this row of seats, 8 should be on the port side, last three rows. 9 THE CHAIRMAN: Thank you. 10 MR SHIEH: Let me just get the matter clear. Of the entire 11 upper deck, the only chair that survived in situ was 12 that one chair that we find outside the wheelhouse? 13 A. Yes. 14 Q. Which remained attached? 15 A. Yes. 16 Q. This one is an attempt to match up a detached set of 17 five seats -- 18 A. Yes. 19 Q. -- which represents your best effort in trying to match 20 up by looking at the mounting plate and the rivets, and 21 this was the closest you could get to trying to 22 reconstruct where these five chairs used to be before 23 the accident? 24 A. This is the only position I can match. 25 Q. Only position you can match?</p>	<p>1 holes on the deck, which appeared larger than the other 2 screw holes for mounting the seats." 3 Which metal plate are you talking about: the middle 4 one? 5 A. The metal plate attached to the deck, on the deck, that 6 is attached with the rivet tail. 7 THE CHAIRMAN: That's the middle at the front? 8 MR SHIEH: The middle, the front? 9 A. The middle, yes. 10 THE CHAIRMAN: At the front? 11 A. At the front, yes. 12 MR SHIEH: Because that was where you found the rivet? 13 A. Yes, the rivet tail. 14 Q. All the rest, there were screws? 15 A. Yes. 16 Q. "... which appeared larger than the other screw holes 17 for mounting the seats." 18 The reason was that those two holes were not 19 penetrated by screws; they were penetrated by rivets? 20 A. No, I think maybe because the screw had made the hole 21 larger. So that's why if still use the screw again, it 22 cannot secure the leg on the deck. That's why my 23 opinion is that they just make it simple, to make 24 a metal plate on it and drill four screws onto the deck 25 at the corner of the metal plate, and then use another</p>

<p style="text-align: right;">Page 25</p> <p>1 tool, that is a rivet, to secure the leg. 2 THE CHAIRMAN: So you infer that the two larger screws had 3 failed, as it were, and this had been replaced by the 4 plate with four screws in it? 5 A. Yes. At four corners. So this new metal plate provided 6 a support for the rivet to secure the middle front leg 7 to the deck. 8 THE CHAIRMAN: Do you have a photograph that illustrates 9 these two larger screw holes? 10 A. My own have been -- but the police have also taken this 11 photograph. I'm not sure whether they have put it in 12 the album. 13 THE CHAIRMAN: Well, they've put hundreds of them into the 14 album, so ... 15 MR SHIEH: We will follow that up. 16 My learned friend Mr Beresford has kindly reminded 17 me that the five seats Dr Cheng used for the purpose of 18 his reconstruction exercise were actually salvaged from 19 the seabed at the collision location. That we can 20 actually find in the index page of the album. 21 THE CHAIRMAN: Yes. 22 MR SHIEH: We will provide the actual item number in due 23 course. But the five seats were actually salvaged from 24 the seabed. 25 Dr Cheng, if I could try and help you perhaps jog</p>	<p style="text-align: right;">Page 27</p> <p>1 MR SHIEH: We can see that, and then for it to be scanned. 2 THE CHAIRMAN: Perhaps you'd be kind enough to pass it up. 3 (Handed). 4 A. Mr Chairman, I found the corresponding photo from the 5 police album, pages 420 and 421. 6 THE CHAIRMAN: Thank you. Yes. Yes, that -- 7 A. Maybe we can start from page 419. This is the original 8 form. Then -- 9 MR SHIEH: Before the dismantling? 10 A. Yes, before dismantling. 11 Page 420, first we removed the four screws at the 12 corner and then, page 421, we removed the metal plate. 13 And then we can see a pair of holes. Yes, these are the 14 holes that I said appear larger than the other screw 15 holes. 16 THE CHAIRMAN: Yes, well, that does illustrate exactly what 17 you've got in your own bundle, so I'll return your own 18 bundle to you. Thank you. 19 A. Okay. Then in photo 4, page 422, we can see the snapped 20 rivet tail in the metal plate. The cursor points to the 21 position. It's a rivet tail. 22 THE CHAIRMAN: So are these four screws or are these four 23 bolts? 24 A. I would call it also self-tapped screw, not bolt. 25 THE CHAIRMAN: But what is the head?</p>
<p style="text-align: right;">Page 26</p> <p>1 your memory. Could I ask you to -- ah. If we look at 2 police album VII, page 349. If we look at 3 description 3, it says "Seat salvaged from the seabed at 4 the collision location placed on the upper deck". 5 A. Yes. 6 Q. That is photo 3, which corresponds to page 352. You see 7 that photo is number 3? 8 A. Yes. 9 Q. So the five seats that you used for the purpose of your 10 exercise is actually a set of five seats salvaged from 11 the seabed? 12 A. That is what I examined. 13 MR SHIEH: Thank you. 14 Mr Chairman, I think that describes the -- 15 THE CHAIRMAN: All I was asking is, if one looks at 16 photograph 27 in Dr Cheng's bundle, page 395 -- as 17 I understand your evidence, you're saying that you 18 removed that plate and beneath it you found two other 19 larger screw holes? 20 A. Yes. 21 THE CHAIRMAN: I'm asking whether I can see a photograph of 22 those. 23 A. Personally I have a photograph here which shows the two 24 holes. 25 THE CHAIRMAN: Yes. Let's take advantage of that.</p>	<p style="text-align: right;">Page 28</p> <p>1 A. The head? 2 THE CHAIRMAN: It's not a cross-head, is it, like the other 3 ones we've seen? 4 A. Also cross-head, I remember. Let me see. 5 THE CHAIRMAN: A bolt head is -- 6 A. Yes, it's a bolt head, but the tip of this bolt, maybe 7 we can call it bolt, but you can see it's pointed. That 8 means if drilled into the soft substrate, it can make 9 a hole on its own. Because when we're talking about the 10 bolt, we suppose that on the floor, we will originally 11 make a hole. Because the bolt has a blunt end, it 12 cannot drill a hole on its own. 13 THE CHAIRMAN: Yes, I understand the point. Thank you. 14 MR SHIEH: But just to put this in its proper context, the 15 reason this particular leg was detached is not because 16 of the four screws on the four corners, because for this 17 particular plate, obviously when you found it, the four 18 screws still attached this metal plate to the floor? 19 A. Correct, firmly attached. 20 Q. The problem lay with the rivet which snapped? 21 A. Yes. The rivet is normally not strong enough for this 22 kind of purpose. 23 Q. As you said at page 422, you could actually see the way 24 it broke? 25 A. Yes.</p>

<p style="text-align: right;">Page 29</p> <p>1 Q. And the remains of that, the rivets, I mean? 2 A. Yes. 3 THE CHAIRMAN: Before you move on, did you find any other 4 similar plates like this in the deck, that is to say, 5 with these four bolt heads but sharp ends to the screws? 6 A. At the end of -- when I prepared my report finally, 7 I saw one of the photographs I'd taken, should be at the 8 edge, I see similar metal plate. But I didn't make 9 a detailed examination at the scene, so I did not report 10 it. Because I just -- from a photograph, I saw the 11 image of a metal plate. But I did not make further 12 examination. 13 THE CHAIRMAN: Do you have -- 14 A. But I think maybe more than one. 15 THE CHAIRMAN: Are you able to locate those photographs that 16 illustrate this elsewhere in the vessel? 17 A. I can, but the photograph is in my laboratory. I do not 18 have this photograph here. 19 THE CHAIRMAN: No, I understand that. But no doubt they 20 could be obtained for you? 21 A. Yes, maybe. Yes. Maybe I can provide it -- I'll try to 22 provide it in the afternoon if possible. 23 THE CHAIRMAN: Yes. Thank you. Thank you very much. 24 But your point on this is that whereas these four 25 bolt-head-but-sharp-pointed screws were secure and in</p>	<p style="text-align: right;">Page 31</p> <p>1 page 134. At the bottom one, photo 14, we can see, if 2 we were to do a close-up -- at a distance, we can see 3 the catch. It's not a close-up, unfortunately. 4 THE CHAIRMAN: But the vessel is still on the hard, is it 5 not? Lamma IV is still on the hard, in the dockyard? 6 MR SHIEH: Yes. 7 THE CHAIRMAN: So this can be done now. 8 MR SHIEH: Is Mr Chairman thinking of doing an immediate 9 inspection? 10 THE CHAIRMAN: Someone could take a photograph and describe 11 the mechanism for us. 12 MR SHIEH: Yes. 13 My understanding is that different openable windows 14 may have different catch mechanisms, because if we look 15 at police album -- 16 THE CHAIRMAN: Well, there's no need to get bogged down in 17 this now. The subject could be addressed, because it is 18 an issue. 19 MR SHIEH: Yes. 20 THE CHAIRMAN: We have people that have been described as 21 banging on windows and blowing on whistles to get people 22 to come and rescue them. So it's important that we're 23 informed about the nature of the sliding windows. 24 MR SHIEH: The ease with which they could be opened. 25 Perhaps we could call upon those representing Mardep to</p>
<p style="text-align: right;">Page 30</p> <p>1 place, what failed was the rivets and they are not 2 normally strong enough for this purpose? 3 A. Yes, because these kind of rivets are usually made by 4 some soft metal. That's why when the rivet mount -- how 5 do you say? The mechanism is that a rivet put into 6 a hole, and then use a machine to draw a bit at the 7 bottom, make the bottom deform. That's why then, when 8 the bottom deforms will swollen, become a ball shape, 9 then stop the rivet coming out. So this metal usually 10 is a little bit soft, mostly maybe aluminium. So this 11 is relatively weaker than steel, that usually the bolt 12 and screw is made of, so it will easier -- less stronger 13 than the steel screw and the steel bolt. 14 MR SHIEH: When you say "make the bottom deform", you mean 15 make the bottom of the rivet deform? 16 A. The bottom of the rivet deform. 17 Q. Expand? 18 A. Expand, yes. 19 Q. So it can't be pulled out of the shaft, of the space? 20 A. Correct. Yes. 21 MR SHIEH: Mr Chairman, you asked for a photograph of the 22 opening mechanism. 23 THE CHAIRMAN: The latch on the window, yes. 24 MR SHIEH: The latch on the window. There is one, not 25 a close-up one, but if we can look at marine bundle 1,</p>	<p style="text-align: right;">Page 32</p> <p>1 make arrangements for inspection to be made immediately 2 and photographs to be taken. 3 THE CHAIRMAN: Mr Mok? 4 MR MOK: We will follow up on that. 5 THE CHAIRMAN: Thank you. That would assist. 6 MR SHIEH: Thank you. 7 THE CHAIRMAN: Before we leave that topic, was there 8 anything in the cabin that marked the window as 9 a sliding window? 10 A. No. 11 THE CHAIRMAN: Any signs saying "Sliding window" or ... 12 A. There's no sign but it can be easily recognised just by 13 looking at it. 14 THE CHAIRMAN: Because the latch is in the middle of the 15 window? 16 A. Yes, correct. 17 THE CHAIRMAN: But no sign? 18 A. Yes, no sign. 19 MR SHIEH: Thank you. While we are on this topic, marine 20 bundle 1, page 134, which we have just looked at, just 21 to illustrate the point. For the openable window, 22 there's a catch in the middle; whereas the window next 23 to it, there's no catch. So passengers would know that 24 this would not be a window that could be opened? 25 A. Yes.</p>

Page 33	Page 35
<p>1 Q. If you turn over to page 136, this was taken during 2 an inspection on 16 October. In the middle photo, we 3 can see the way in which some screws were found actually 4 bent. This is not one of the dates of your inspection, 5 but did you notice any screws detached which looked like 6 that? 7 A. You mean with a bended head? 8 Q. Yes. 9 A. No. I didn't make a detailed examination of all the 10 screws found in the upper deck cabin. I just took 11 a look and reviewed some screws, but not examine all. 12 So I cannot confirm this. 13 Q. Fair enough. Because there were probably too many loose 14 screws around. 15 A. Yes. 16 Q. There are quite a number of photographs of loose screws. 17 Could we now come back to your written report. 18 Paragraph 3.6.5, page 371: 19 "Near the centre of the cabin was a supporting 20 column, of which the mounting holes of the base were 21 empty with its bolts/screws missing ..." 22 For a photograph, we can find it at page 395, at the 23 bottom. That is the support column; correct? 24 A. Correct. 25 Q. There was a deformed mounting hole, but the bolts and</p>	<p>1 THE CHAIRMAN: The large one that goes from floor to 2 ceiling? 3 A. Correct. 4 MR SHIEH: Mr Chairman, as also depicted at page 164. 5 THE CHAIRMAN: Thank you. 6 A. Yes, the same one, this one. Correct. 7 MR SHIEH: Page 164, we can also see that, and also 8 page 163. That is the one, correct? 9 A. Correct. 10 Q. Because if we compare that with page 395 of the expert 11 bundle, we can actually see the metal railing next 12 to it. 13 A. Sorry, can you repeat? 14 Q. If we look at page 395, you can actually see the metal 15 railing next to it, so that corresponds with the 16 relative location where this was found -- 17 A. Yes. 18 Q. -- next to the handrail -- 19 A. Yes, correct. 20 Q. -- for the staircase, which leads down to the -- 21 A. Yes, to the main deck. 22 THE CHAIRMAN: So the end result was that nothing remained 23 of whatever might have secured this floor-to-ceiling 24 column holding it in place on the floor; nothing 25 remained?</p>
Page 34	Page 36
<p>1 screws were loosened. You said they were loosened. 2 When you inspected them, they had already gone; correct? 3 A. Yes. Missing. 4 Q. That's why you could only take a photograph of what 5 remains, with the holes? 6 A. Yes, correct. So I did not know what kind of device 7 used to affix this column. It may be bolt or screw. 8 But I cannot confirm. 9 Q. Thank you. Could we now go back to your report and move 10 on to -- 11 THE CHAIRMAN: Could you help us as to where this was inside 12 the vessel by reference to one of the plans/designs? 13 MR SHIEH: Dr Cheng, you have the police album and also 14 marine bundle 1 in front of you. 15 THE CHAIRMAN: You say it was near the centre of the cabin. 16 Was it -- 17 MR SHIEH: Look at page 165 of the police album. Page 165 18 or page 164; I think either will do. 19 A. Yes, this one -- 20 Q. Yes. 21 A. Yes, that is the column next to the life jacket. 22 Q. The handrail? The handrail? 23 A. Yes, the handrail. Correct. 24 Q. The cursor can point to the -- 25 A. Yes, this one. Correct.</p>	<p>1 A. Correct. 2 MR SHIEH: We now move to the weather deck in your report. 3 That is paragraph 3.7. 4 Mr Chairman, the search for the deck plan still 5 continues. 6 THE CHAIRMAN: Yes. Thank you. 7 MR SHIEH: "Half of the weather deck by the upper deck cabin 8 was covered with awning. The weather deck had a pair of 9 about 2-metre long benches with backs against each other 10 along the centreline. In addition, a short bench was 11 found along the edge of the weather deck on the 12 starboard side. The benches were also secured to the 13 deck via similar mounting plates and screws for the 14 seats in the upper deck cabin. Two mounting plates and 15 their screws were found to have been detached from the 16 deck." 17 Perhaps we can look at police album III, page 167. 18 This shows the weather deck. 19 A. Agree. 20 Q. Now, the awning is -- you see the blue material near the 21 deck? 22 A. Yes. 23 Q. That formed part of the awning? 24 A. Correct. 25 Q. In fact the whole metal structure?</p>

<p style="text-align: right;">Page 37</p> <p>1 A. Is the awning. 2 Q. The awning? 3 A. Yes. 4 Q. But what remains is the bare structure. What was 5 supposed to be there may be by way of the blue 6 materials -- 7 A. Yes, covering it. 8 Q. Might have been destroyed or gone, and what's left is 9 the blue material that remains? 10 A. Yes. 11 Q. "... a pair of about 2-metre-long benches ..." 12 That is the one that we see still remaining in the 13 middle -- 14 A. Correct. 15 Q. -- with the wooden back. That's what remained intact; 16 correct? They were still attached? 17 A. Correct. But from this photograph, we still can see the 18 leg on the left-hand -- yes, this one -- already 19 detached from the floor. 20 Q. So does that correlate to the last sentence of your 21 paragraph 3.7.1? 22 A. Correct. 23 Q. -- when you say: 24 "Two mounting plates and their screws were found to 25 have been detached from the deck."</p>	<p style="text-align: right;">Page 39</p> <p>1 right? 2 A. Yes. In this photograph, you can see two legs. The 3 largest one is very obvious, detached from the floor. 4 The one behind it is also a little bit raised up, above 5 from the floor. 6 THE CHAIRMAN: You're looking at the bottom right 7 photograph? 8 A. Yes, bottom right. 9 THE CHAIRMAN: Thank you. 10 MR SHIEH: Mr Chairman, could that be scanned, copied and 11 distributed? 12 THE CHAIRMAN: Certainly. We'll have another look at it and 13 make sure we're doing the right one. 14 Yes, we'll have that scanned and added to Dr Cheng's 15 material. 16 MR SHIEH: Dr Cheng, because we only have this photo on the 17 screen for the time being, just to identify the two 18 plates which you noticed to have been detached, the 19 first one, the more serious one, is the one closest to 20 us; right? 21 Move down the cursor. Yes. 22 A. Yes, this one, correct. 23 Q. This is the one which is most obvious? 24 A. Correct. 25 Q. The other one is --</p>
<p style="text-align: right;">Page 38</p> <p>1 A. Correct. 2 Q. So that is one mounting plate? 3 A. And this mounting plate is similar to the one used for 4 the seat in the main deck cabin and the upper deck 5 cabin. 6 THE CHAIRMAN: Do you have a close-up of this failed 7 supporting -- or attachment? 8 A. I have a close-up of this photograph. 9 THE CHAIRMAN: In your own bundle? 10 A. Yes, my own bundle. 11 THE CHAIRMAN: Yes. Be kind enough to pass it to us. 12 (Handed). 13 Thank you. Yes, that shows it graphically. 14 You say there were two of these attachments that had 15 failed. Does your photograph show the other one? I'll 16 return it to you. 17 A. Yes, can I take a look? 18 It should be the one on the same photograph, this 19 one (indicates), but it is not very clear. But at the 20 time of my examination, I'm quite sure. 21 THE CHAIRMAN: Just hold it for the moment. The one that 22 you drew our attention to first of all, is that the one 23 on the bottom right? 24 A. Yes, correct. 25 THE CHAIRMAN: Where is the second one in relation to bottom</p>	<p style="text-align: right;">Page 40</p> <p>1 A. In the middle. Yes, this one. 2 Q. Yes, thank you. So these two were the ones that you 3 found detached from the deck as described in the last 4 sentence of your paragraph 3.7.1? 5 A. Correct. 6 Q. But when you say the mounting plates were detached, were 7 the screws still there? 8 A. The screws still attached to the mounting plate. 9 Q. But in a loosened manner? 10 A. It may be, I remember, because the paint, the deck paint 11 was blue and the paint act like a glue, still hold the 12 screw on the metal plate. 13 Q. Thank you. I think it will become clearer when the 14 photos come out. 15 THE CHAIRMAN: Yes, I think so. 16 MR SHIEH: Can we move on to your paragraph 3.7.2: 17 "Two dislodged rows of seats, respectively having 18 five connected seats and two seats, were found on the 19 weather deck. The rectangular mounting plates of the 20 legs were found to agree in appearance with those of the 21 seat in the upper deck cabin. The mounting plates of 22 the seats were found to agree in relative positions with 23 the rectangular imprints on the deck, suggesting that 24 the two rows of seats could have originated from the 25 upper deck cabin."</p>

Page 41	Page 43
<p>1 Now, one row had five connected seats, and the other 2 row had two seats; correct? 3 A. Correct. 4 Q. We can see the row with the five connecting seats on 5 page 167 of police bundle. If we move to the right. 6 On the right-hand side of this photograph -- 7 A. Correct, this is -- 8 Q. -- we can see that is one of the two dislodged row of 9 seats, right -- 10 A. Yes. 11 Q. -- consisting of five connected seats? 12 The two seats can be found on the next page, 168. 13 Can you see the two seats connected, which stand 14 upright? 15 A. Correct. 16 Q. So that represents the two seats; correct? 17 A. Yes. 18 Q. In the rest of this photograph, you describe your 19 matching exercise, matching the plates and what 20 remained, the imprint on the floor -- 21 A. On the deck, yes. 22 Q. -- on the upper deck? 23 A. Correct. 24 Q. So these could have originated from the upper deck 25 cabin, but indoors?</p>	<p>1 MR SHIEH: Thank you. 2 The bottom right-hand corner shows the two metal 3 plates that were detached, one more seriously than the 4 other; correct? 5 A. Yes, correct. So you can see the two screws still -- we 6 can see underneath the mounting plate. 7 Q. And the paint is probably acting as some kind of glue, 8 as you said -- 9 A. Yes, that's -- 10 Q. -- to keep the screw in place. 11 A. So you can see from the top, we cannot see the screw 12 head. Covered by the paint. 13 Q. Thank you. The other metal plate on the top left-hand 14 corner of this photo was also detached, but not as 15 seriously. 16 A. Not serious, yes. 17 Q. I think for the rest of this series of photos, they are 18 simply photographs of the attached benches and the 19 detached five chairs taken from different angles. 20 A. Yes. 21 Q. Because the top right-hand corner, for example, shows 22 the same five detached chairs that we have seen in 23 another album. 24 A. Correct. 25 Q. Thank you. As a matter of interest, what is that</p>
Page 42	Page 44
<p>1 A. Correct. 2 Q. Paragraph 3.7.3: 3 "A piece of fibreboard fragment roughly triangular 4 in shape, having deep blue, red and white paintwork and 5 measuring about 1.6 by 2.4 metres, was found on the 6 weather deck." 7 For that we have your photo 29, which is page 396. 8 That, we have looked at. That represents the missing 9 piece from the port bow of the Sea Smooth. 10 A. Correct. 11 Q. Just to remind us all, it's page 384, the top of the 12 page. 13 That's the triangle? 14 A. Yes, photo 5. 15 Q. Yes. Paragraph 3.7.4 of your report at page 372: 16 "The weather deck was paved with blue plastic 17 flooring and the edge of the deck painted in white. The 18 blue and white paint fragments recovered from Sea Smooth 19 were found to agree in colour with the corresponding 20 paint on the weather deck of Lamma IV." 21 THE CHAIRMAN: We have the photographs now, dealing with the 22 centre bench and the two failed attachments. (Handed). 23 MR SHIEH: Thank you. 24 THE CHAIRMAN: There is a scanned version, if that could be 25 put up on the screen.</p>	<p>1 picture on the top left-hand corner of this page? 2 Because it shows the floor breaking rather 3 significantly. The top left-hand corner of this photo. 4 A. It is the close-up of the middle leg. 5 Q. Close-up of the middle leg? 6 A. Yes, and you can see the screw already a little bit 7 loosened from the mounting hole. 8 Q. I see. When you say this is the middle leg, this is 9 actually the same as the leg which is not so prominent 10 on the bottom right-hand corner? 11 A. Oh, sorry. Mr Chairman, I need to clarify. Please move 12 to the bottom right photo. 13 Q. Yes. 14 A. That leg should be the other leg. It is a little bit 15 loosened. But what I mean, already detached, should be 16 the one on the top left corner. Because I can see the 17 screw already loosened from its mounts, this one. So 18 I'm referring to -- my report said two mounting plates 19 already detached, it's this one, the one now we can see 20 on the screen and the one in the bottom right corner, 21 these two. 22 Q. I see. 23 A. Yes. This one is more obvious. 24 THE CHAIRMAN: So if we're looking at the bench standing at 25 the stern, the bench is in the middle of the vessel and</p>

<p style="text-align: right;">Page 45</p> <p>1 the first one that failed was the port aft mounting. 2 A. Port aft, yes. 3 THE CHAIRMAN: Where was the second one? 4 A. On the port middle. 5 THE CHAIRMAN: Middle? 6 A. Yes. 7 THE CHAIRMAN: So port aft, port middle, of the three on the 8 port side? 9 A. Correct, yes. 10 MR SHIEH: Could we have the entire page. 11 Just to clarify, the picture on the top left, that 12 is the mounting plate corresponding to the leg on the 13 port middle? 14 A. Yes. So we can see on the bottom left corner, the 15 photo, we can see the leg -- 16 Q. Yes, the cursor is now pointing at the port middle leg. 17 A. Yes. We can see the colour, the paint near the leg 18 already peeled off, agrees with that one on the top. 19 Q. Thank you. And the one on the bottom right-hand corner 20 is the port aft? 21 A. Correct. 22 Q. Dr Cheng, we were looking at the blue and white paint 23 fragments that you referred to at paragraph 3.7.4 of 24 your report. Just to confirm, those fragments, you are 25 referring to the ones that we can find at page 384, top</p>	<p style="text-align: right;">Page 47</p> <p>1 Q. Yes. 2 A. We can see the white rack which are supposed to be used 3 to hold the lifebuoys. 4 Q. Thank you. And the cursor can point to the white racks. 5 A. Above the fragment. 6 Q. Yes, here. 7 A. Upper. 8 Q. Further up, further up. 9 A. Further up, yes, this one. This is the rack, the white 10 rack. 11 Q. We can actually see that on the model as well. 12 At paragraph 3.8.3: 13 "Beneath some seats of the main deck cabin were 14 strong orange plastic bags, the life jacket stowage ..." 15 The photograph is at page 396. So beneath some 16 seats we find life jacket stowage like this; correct? 17 A. Yes. 18 Q. But some seats only? 19 A. Yes. 20 Q. "... measuring about 35 cm high, 25 cm long and 15 cm 21 wide, some of these carrying on orange life jacket, 22 which was contained in a tied white garage bag." 23 That we can find at the next page, page 397. 24 So inside each of those orange bags you would find 25 a rubbish bag, a garbage bag, which contained the actual</p>
<p style="text-align: right;">Page 46</p> <p>1 of the page. There are numerous coloured fragments that 2 we can see. 3 A. Correct, yes. 4 Q. Life-saving apparatus -- we move on: 5 "A life raft ... was found on the dock by Lamma IV. 6 An empty rack probably for the container of a life raft 7 was found on the starboard side of the weather deck. 8 There was a detached white rack of about 0.9 metres 9 high lying on the weather deck. The base of the rack 10 was found to match with the voids situated aft of the 11 weather deck, indicating that the white rack was likely 12 detached from there. Making reference to the deck 13 plan ... the rack was used to hold lifebuoys. Only 14 6 lifebuoys were found on board." 15 A. Correct. 16 Q. There isn't any photograph that we can find which 17 depicts the raft or the racks in your album. Is there 18 one in the police album that you can find which could 19 help us? 20 A. Yes. 21 Q. There were some lifebuoys which we can find in the 22 weather deck. 23 A. In photograph 172, page 172. 24 Q. Photograph 172? 25 A. Page 172.</p>	<p style="text-align: right;">Page 48</p> <p>1 life jacket inside? 2 A. Correct, and have a knot. 3 THE CHAIRMAN: Just dealing with the orange pouch, that was 4 attached with a Velcro strip, was it, to the 5 longitudinal beam of the seat immediately beneath the 6 plastic seat? 7 A. Yes. 8 THE CHAIRMAN: So in order to open it, the Velcro strip had 9 to be opened -- 10 A. Removed, yes, opened, correct. 11 THE CHAIRMAN: -- from that place? 12 A. Removed from the column. Because the whole jacket, the 13 thickness of the whole jacket, should be about 20 cm. 14 And the opening in line with the seat, the opening of 15 the orange bag, just only 10 cm. So first, if we need 16 to take out a life jacket, first we need to remove the 17 Velcro. And then the opening is large enough, then we 18 can take out the life jacket contained inside garbage 19 bag. 20 THE CHAIRMAN: How long was the Velcro strip that had to be 21 opened in order to effect entry to where the life jacket 22 was contained? 23 A. I do not know how long is it, but easy, in my opinion. 24 THE CHAIRMAN: Easy to open it? 25 A. Yes.</p>

Page 49	Page 51
<p>1 THE CHAIRMAN: But not so easy to get to, because you only 2 had a 10 cm gap beneath the seat to get to the Velcro? 3 A. Yes, correct. 4 THE CHAIRMAN: Is that it? 5 A. Yes. 6 THE CHAIRMAN: Thank you. 7 MR SHIEH: And the point about the width of that gap is 8 really the point that you made in the last part of 9 paragraph 3.8.3 of your report: you can't just pull out 10 the life jacket, because it is too thick, you really 11 need to loosen the strap. That's really the point that 12 you are trying to make at the last part of your 13 paragraph 3.8.3; correct? 14 A. Correct. 15 Q. For better photos of the way in which these life jackets 16 were actually stowed, could you turn to police bundle V 17 at page 319. Is that the way in which they were 18 actually stowed? 19 A. Yes. 20 Q. I think over the page, 322, is a reasonably clear 21 depiction as to the way in which these bags were 22 effectively hung on that frame under the seats. One can 23 visualise the gap. Is that the sort of appearance? 24 A. Correct. 25 Q. Thank you. At pages 323 and 324, we have a photographic</p>	<p>1 continue, but if there could be a shortcut, such as 2 a photo taken on the spot -- 3 A. Chairman, maybe I provide this photograph in the 4 afternoon when I get the photo from my colleague. 5 THE CHAIRMAN: Thank you. 6 MR SHIEH: Thank you. 7 Dr Cheng, moving on to paragraph 3.8.4 of your 8 report: 9 "Only one type of life jackets was found in 10 Lamma IV, which was the one shown on safety instruction 11 notices for donning a life jacket. A total of three 12 notices of donning instructions, showing how to don 13 a life jacket, were found inside the passenger 14 cabins ..." 15 For the photo, let's look at page 397. That's 16 a sort of instruction sheet. 17 A. Correct. 18 Q. There is another one in police album V, page 318. So 19 all these instructions, they look the same, right? The 20 same document posted in three different locations? 21 A. Correct. 22 Q. Thank you. Page 373 of your report: 23 "The donning instructions were printed in both 24 Chinese and English ..." 25 We see what they look like now.</p>
Page 50	Page 52
<p>1 depiction of various stages after the Velcro had been 2 loosened. 3 A. Yes. 4 Q. Page 323 leading on to page 324. Page 324, the Velcro 5 had been loosened -- 6 A. Correct, yes. 7 Q. -- and so a garbage bag fell out. 8 Despite diligent searches, we were not able to find 9 a photograph of the deck plan or any photograph of the 10 deck plan that was taken on board the Lamma IV. But 11 again, the Lamma IV is still -- 12 THE CHAIRMAN: Yes. 13 Did you take one, Dr Cheng, of the layout that was 14 displayed in the notice on the wall? 15 A. Let me -- actually, that plan I'm referring is this one 16 I have seen in the court, this (indicates). 17 THE CHAIRMAN: Did you see one in the vessel as well? 18 A. Yes. 19 THE CHAIRMAN: On a wall, attached to a wall? 20 A. Let me check whether I took a photo of this one. 21 MR SHIEH: If photographs are to be taken of the catch of 22 the sliding windows -- 23 THE CHAIRMAN: Yes, this could be done. I'd be very 24 surprised if there isn't a photograph somewhere of this. 25 MR SHIEH: As I say, the search will obviously still</p>	<p>1 "No children's life jackets was found on the 2 vessel." 3 That is uncontroversial. 4 "At the time of my examination, a total of 98 life 5 jackets were found on the vessel. 6 At least 6 and 4 exit signs, denoting the location 7 of the nearest emergency exit, were found in the main 8 deck cabin and the upper deck cabin respectively. In 9 addition, imprints agreeing in size with the exit signs 10 were noted in the two passenger cabins, which suggests 11 that some exit signs might have been posted on these 12 positions but were detached." 13 If we look at page 398. The exit sign circled in 14 red at the top, you can see there's an arrow on the exit 15 sign pointing at where the emergency exit was. 16 A. Yes. 17 Q. The green circle showed an imprint. Quite obviously 18 it's a different shade of colour -- 19 A. Correct. 20 Q. -- than it's surrounding and therefore shows something 21 must have been attached there for some time before being 22 taken away. 23 A. Correct. And the size agrees with the exit sign on the 24 right now the cursor pointed to. 25 Q. Yes.</p>

<p style="text-align: right;">Page 53</p> <p>1 A. So my opinion is that this similar exit sign may have 2 been posted here, but detached. 3 Q. Yes. Because if you look at the right-hand corner, 4 because it's similarly oblong-shaped. 5 A. Shape, and the position also agrees in height. 6 THE CHAIRMAN: As far as the life jackets found on board 7 were concerned, did they have the name of the vessel 8 written on them? Perhaps to help you, if you could have 9 a look at miscellaneous bundle, page 87. It's the 10 photograph on the top right that helps us on this issue. 11 If we can rotate that so we can read the name. 12 At least this one has its name stamped on it. 13 A. Correct. But I did not inspect this one at the time of 14 my examination. 15 THE CHAIRMAN: Thank you. 16 MR SHIEH: Dr Cheng, when you looked at the garbage bags 17 which contained the life jackets -- perhaps we can take 18 a look at the photographs. 19 THE CHAIRMAN: There's one on the screen right now. 20 MR SHIEH: Yes. 21 Did you notice or try to see the ease with which any 22 knots could be untied? You see, because if there's dead 23 knot, "(Chinese spoken)", then it may be difficult to 24 pull it apart, whereas if it simply opened -- 25 A. At the time of my examination, I could easily untie it.</p>	<p style="text-align: right;">Page 55</p> <p>1 stern light, which was heavily covered with mud. No 2 further examination was conducted ..." 3 Then you deal with simulation of detaching a seat. 4 "According to police information, the upper deck 5 cabin should have seats as shown in the deck plan before 6 the accident, but all the seats, except the one as 7 described in paragraph 3.6.2, were detached from their 8 mounts. To determine the force needed to detach ... the 9 row of two connected seats on the weather deck was used 10 for the simulation. The two seats were mounted on 11 a single metal frame with four legs each having 12 a mounting plate, so a total of eight screws, which were 13 collected from the upper deck cabin and examined free of 14 any thread damage, were used to secure the seats to the 15 fibreboard deck of the upper deck cabin." 16 So the experiment that you did was that you picked 17 up the pair of white seats that were lying on the 18 weather deck? 19 A. Correct. 20 Q. The ones that we could see, for example, at page 168 of 21 police album III? 22 A. Yes, these are the two connected seats, the two. 23 Q. That you used to do your experiment? 24 A. Correct. 25 Q. The two seats -- how many legs were there?</p>
<p style="text-align: right;">Page 54</p> <p>1 THE CHAIRMAN: You could certainly easily rip it open. 2 A. Yes. It's quite thin. Correct. 3 MR SHIEH: We move on to navigation lights at page 373 in 4 your report. Paragraph 3.9.1: 5 "... a pair of sidelights installed on the roof of 6 the upper deck; the sidelight on the starboard side was 7 green and that on the port side was red. The mast ... 8 was found detached from its anchorage point. The mast 9 had an all-round navigation light and a masthead light 10 (see photo 34)." 11 That's at page 398. The light that is nearer to us 12 is the navigation light; correct? 13 A. Correct. 14 Q. The one slightly on top is the masthead light? 15 A. Correct. 16 Q. Thank you. 17 "The housings of the green and red sidelights were 18 round intact, but traces of water were found inside 19 them. The light bulb of the red light was found broken 20 and that of the green light snapped in the middle. 21 The housing of the masthead light was wet and its 22 light bulb was found snapped. The housing of the 23 all-round navigation light was found jammed and the 24 light bulb inside could not be examined further. 25 Another light housing mounted on the transom was the</p>	<p style="text-align: right;">Page 56</p> <p>1 A. A total of four. 2 Q. Total of four legs. But each leg would be attached to 3 a metal plate? Each metal plate would have two screws, 4 so altogether eight screws; correct? 5 A. Correct, and the screw was recovered from the upper deck 6 cabin and I have examined the screw, which free from 7 damage. 8 Q. Yes, "free of any thread damage, were used to secure the 9 seats to the fibreboard deck of the upper cabin". 10 So that's the indoor, right? 11 A. Correct. 12 Q. You picked up the two detached seats from the weather 13 deck, you took it indoor -- 14 A. Correct. 15 Q. -- upper deck, and you found a corresponding location 16 where you can fit -- 17 A. No, no. I fit it in a new location. I do not use the 18 previous mounting hole. Because that hole, in my 19 opinion, already deformed. So I make a new hole on my 20 own. 21 Q. So you used an electric screwdriver -- 22 A. Correct. 23 Q. -- to create eight new holes? 24 A. By ratchet -- I don't need to make a hole. Just use 25 a -- screw it down, yes.</p>

<p style="text-align: right;">Page 57</p> <p>1 THE CHAIRMAN: These are self-tapping screws? 2 A. Correct. 3 MR SHIEH: Using existing screws that you found lying around 4 which were still useable, intact, without damage? 5 A. Correct. 6 Q. One "of the backs of the seats was found slightly 7 damaged and cracked." 8 That is simply a description of the state it was in 9 when you discovered it; correct? 10 A. Correct. 11 Q. Because that was before you did the experiment. Then 12 paragraph 3.10.2, you did the experiment. 13 A. Correct. 14 Q. "... pulled horizontally towards the stern by a ratchet 15 tightener which force was monitored by a calibrated 16 balance. The first test was conducted by pulling 17 a piece of webbing tied near the top of the seats." 18 So that would be to the plastic? 19 A. Yes, the plastic part, the upper part. 20 Q. To the plastic part? 21 A. Yes. 22 THE CHAIRMAN: Around the whole seat? 23 A. Around the back, the back of the seat, on the upper 24 part. Then I put webbing around this position 25 (indicates).</p>	<p style="text-align: right;">Page 59</p> <p>1 upper deck cabin ..." 2 That's the surviving one outside the wheelhouse? 3 A. Correct. 4 THE CHAIRMAN: Before you move on to that, the second test, 5 when you attached the webbing, presumably -- 6 A. Yes. 7 THE CHAIRMAN: -- attached to a metal bar that connected 8 both seats? 9 A. Correct. 10 THE CHAIRMAN: Thank you. 11 And did you pull from the middle of the two seats? 12 A. Yes, the middle. 13 THE CHAIRMAN: And they were dislodged at about 190 kg? 14 A. Correct. 15 MR SHIEH: "Another test was conducted ... the seat was 16 found to be detached from its mounts at ... 17 230 kilograms." 18 So when you did your test on the surviving seat 19 outside the wheelhouse, the amount of force required was 20 230 kg. This was done by pulling the metal seat frame, 21 so the same type of experiment you did in respect of the 22 two seats that you described in the previous paragraph? 23 A. Yes. 24 Q. Thank you. 25 "The mounting holes ... were examined, and they were</p>
<p style="text-align: right;">Page 58</p> <p>1 THE CHAIRMAN: So it encompassed the seat? 2 A. Yes, encompassed the two seats. 3 MR SHIEH: Both seats. 4 A. Both seats. 5 Q. Because I noticed you used the plural, therefore it is 6 the case where you wrapped it around two seats. 7 A. Correct. 8 Q. Thank you. 9 "... but the test was aborted when the pulling force 10 reached about 110 kilograms due to the start of yielding 11 of the originally damaged back of the seats." 12 So you did a second test. So the first test was 13 inconclusive because you had to stop halfway through? 14 A. Yes, correct. 15 Q. "The second test was then conducted by pulling the top 16 of the seat frame." 17 So this time the metal part? 18 A. The metal part, correct. 19 THE CHAIRMAN: Was that underneath the seat? 20 A. Correct, underneath the seat. 21 MR SHIEH: "When the pulling force reached about 22 190 kilograms, the row of seats was detached from its 23 mounts." 24 Then at paragraph 3.10.3, you describe: 25 "Another test by pulling the only single seat in the</p>	<p style="text-align: right;">Page 60</p> <p>1 found to agree in appearance with the other mounting 2 holes found on the deck." 3 At this juncture, could I ask you to look at some 4 comments made by Dr Armstrong on the tests. 5 A. Okay. 6 Q. Could you look at the same bundle at page 475. 7 You've had a chance of looking at this paragraph, 8 have you? 9 A. Yes, I read it yesterday. 10 Q. I think Dr Armstrong was commenting not so much on the 11 experiment that you -- what do you say to this 12 paragraph, because Dr Armstrong says: 13 "Dr Cheng measured the forces necessary to break the 14 remaining seat in the upper deck cabin from the deck, as 15 indicated in his report paragraph 3.10. I would like to 16 highlight that this way have been the only remaining 17 chair because it had the strongest attachment to the 18 deck, and therefore all the other chairs broke off at 19 a possibly much lower value than the 190 kg that was 20 measured." 21 I think there might have been a mistransposition of 22 the figures, because when you did your experiment on the 23 single remaining seat, the force required was actually 24 230. 25 A. Yes, this is the reading I measured. And also, I agree</p>

<p style="text-align: right;">Page 61</p> <p>1 with Dr Armstrong on this point, that first of all, for 2 the experiment I conducted with the two seats, since the 3 mounting hole was freshly made and because the deck was 4 made up of fibre, my opinion is that over time, the 5 mounting hole might deform over time. 6 THE CHAIRMAN: You saw examples of that, did you not? 7 10 seats where they had been rescrowed? 8 A. Yes. Yes, that is -- exactly, that is the point like 9 that. I believe that over time, the mounting actually 10 have some physical evidence on the deck that have been 11 deformed. If that seat remained, if I pulled that seat 12 originally mounted on the deck for some time, the force 13 should be lower. So my opinion is that 190 kg may be 14 near the maximum. And it should be noted that when 15 we're talking about the force of 190 kg, we are talking 16 about pulling at the frame, the metal frame. 17 THE CHAIRMAN: Yes. Not at the top of the seat. 18 A. Yes. If we pull at the top of the seat, just because of 19 the principle of lever, the force -- 20 MR SHIEH: Less force would be required? 21 A. Yes. So I have a record in my statement that it should 22 be reduced. So if we just make a calculation, depends 23 on my experiment. If the pulling force to detach the 24 two seats is 190 kg, if I pull it at the back of the 25 seat, should be reduced to about 110 kg, as recorded in</p>	<p style="text-align: right;">Page 63</p> <p>1 can resume in 20 minutes. 2 (11.33 am) 3 (A short break) 4 (11.55 am) 5 THE CHAIRMAN: Mr Shieh. 6 MR SHIEH: Dr Cheng, can I just explore one or two points in 7 Dr Armstrong's report about chairs with you. 8 First of all, in relation to the experiment that you 9 conducted on the remounted seats, which you did with the 10 pair of chairs -- you remember the pair of detached 11 chairs from the weather deck that you took in and you 12 screwed them in afresh? 13 A. Correct. 14 Q. I think before the break you told us that effectively it 15 might not actually represent the degree of resistance 16 the actual seats would have to force, simply because for 17 the actual seats on the deck, they would have been 18 mounted for some time already, whereas for your 19 experiment the seats were actually newly mounted; is 20 that the point that you are trying to get across? 21 A. Yes, correct. Yes. And from the deck, I found some 22 hole, the mounting hole on the floor was larger, and 23 I have found some sign of deformation. So I would 24 expect if the screw detached from that deformed hole, 25 the force will be lesser.</p>
<p style="text-align: right;">Page 62</p> <p>1 my statement, paragraph 3.10.2. Sorry, should be -- 2 Q. Because your 3.10.2 -- 3 A. Sorry, I made a mistake. Should be -- 4 Q. It's later on, I think. 5 A. In the analysis, paragraph 5.6, I go a little bit 6 further. 7 Q. Yes. Page 377. 8 A. Yes. My report, page 377. 9 Q. Yes, internal page 16. 10 A. Yes. 11 Q. Because you do a distinction between pulling at the 12 bottom frame on the one hand, and evenly exerting the 13 force on the seats on the other hand? 14 A. Correct, yes. 15 Q. Because in real life, the force would be likely to be 16 exerted by people sitting on the chairs or pulling at 17 the back? 18 A. Correct. 19 THE CHAIRMAN: If that's not inconvenient, Mr Shieh, we'll 20 take our morning break now. 21 MR SHIEH: Yes. 22 THE CHAIRMAN: Dr Cheng, we're going to take a 20-minute 23 break now. 24 A. Okay. 25 THE CHAIRMAN: Be kind enough to be back in your seat so we</p>	<p style="text-align: right;">Page 64</p> <p>1 Q. The second point you brought out before the break was 2 the point about the location where the force was 3 applied, and that was a point you brought out in your 4 "Analysis" section, namely it's simply a matter of 5 physics: if the point is applies at a point further 6 away -- 7 A. Further up, then the force required to detach the seat 8 is lesser. 9 THE CHAIRMAN: So people standing on the top of the seats in 10 order to keep their heads out of the water would apply 11 more force than someone sitting on the seat? 12 A. Correct. 13 MR SHIEH: There is actually a third point which is made by 14 Dr Armstrong in the relevant part of his report, and 15 that is to say, the force that you would need to detach 16 the single remaining seat outside the wheelhouse might 17 not be representative of the sort of force that would be 18 needed to detach the other seats in the upper deck. 19 I think Dr Armstrong gave a reason, that the single 20 remaining seat might have remained simply because it had 21 the strongest attachment, so therefore it might not 22 actually tell you a lot about the other seats. 23 A. I agree. 24 Q. You agree. Secondly, Dr Armstrong went on to say that 25 you have to consider the matter in the context of the</p>

<p style="text-align: right;">Page 65</p> <p>1 varying consistency and physical properties of the 2 fibreglass spread over the upper deck. Would you also 3 agree with that? 4 If you look at Dr Armstrong's second report at 5 page 475, at the fifth line from the top, he said: 6 "A factor that must be considered is that the deck 7 material had varying consistency and physical 8 properties; specifically it was made with internal 9 'shear webs', meaning the foam core of the structure was 10 compartmentalised into roughly 100 mm x 100 mm 'boxes' 11 by internal vertical fibreglass. There is no visual 12 indication by looking at the deck where the internal 13 shear webs may be located, and if a seat foundation 14 screw was to be fitted close to or into a shear web it 15 would be able to hold a much larger load. This may be 16 the reason why the single chair foundation was 17 undamaged." 18 Did you have any comment on that? 19 A. I did not make a detailed examination of the fibreboard 20 by myself, so I have no comment on this and I cannot 21 disagree with Dr Armstrong. 22 Q. Thank you. Can we now move on to your report at 23 page 374 of the bundle, when you dealt with the 24 laboratory examination. 25 At paragraph 4.2, you set out the paint samples that</p>	<p style="text-align: right;">Page 67</p> <p>1 taken from the weather deck on the port side; correct? 2 A. Correct. 3 Q. And also the red paint from the U-shaped pipe-mounting 4 bracket on the port side. 5 Paragraph 4.5.2: 6 "The recovered deep blue smears from Lamma IV were 7 found to agree in colour and chemical composition with 8 the control paint sample taken from Sea Smooth, 9 indicating that the respective samples could have 10 originated from the same source." 11 I want to follow through. The deep blue smears from 12 Lamma IV are to be found at page 387 of the bundle, at 13 the bottom part; is that correct? 14 A. No, I collected from on the passageway of the gash. 15 Q. Oh, I see. I thought you were talking about the deep 16 blue ... Passageway of the gash, that would be page 390 17 at the top? 18 A. Correct. 19 Q. That corresponded with the control paint sample, 20 GPW 12839; that is the blue paint sample from the port 21 side hull of the Sea Smooth -- 22 A. Yes. 23 Q. -- indicating that the paint that you found on the gash 24 corresponded with the paint that you -- 25 A. Port bow of Sea Smooth.</p>
<p style="text-align: right;">Page 66</p> <p>1 you collected from Lamma IV and Sea Smooth. 2 A. Yes. 3 Q. You went on to describe the comparison or the paint 4 examination that you conducted. Put on a very high 5 level of generality, basically the purpose of the 6 exercise is to match up fragments that were found on one 7 vessel, to see whether or not they could have come from 8 contact with a certain part of the other vessel? 9 A. Correct. 10 Q. And the results of the paint examination -- 11 paragraph 4.5.1: 12 "The recovered blue, red and white fragments from 13 Sea Smooth ..." 14 I don't think we need to turn up that particular 15 page again, but those fragments are those we found at 16 the foredeck? 17 A. Yes. 18 Q. The scattered pieces we saw in one of the photographs. 19 A. Correct. 20 Q. "-- were found to agree in colour and chemical 21 composition in the top layer of the corresponding 22 control paint samples taken from Lamma IV, indicating 23 that the respective samples could have originated from 24 the same source." 25 And the corresponding samples from Lamma IV were</p>	<p style="text-align: right;">Page 68</p> <p>1 Q. -- would find on the port bow of the Sea Smooth? 2 A. Yes. 3 Q. We move on to "Bulb Examination" at paragraphs 4.6 4 and 4.7. Various bulbs were delivered to the 5 laboratory, and the purpose was to determine whether 6 various filaments of the bulbs were illuminated at the 7 time of the accident. 8 The results, paragraph 4.9.1: 9 "The glass bulbs and the filaments of the red light, 10 the green light and the masthead light were all found 11 broken. Numerous white/black powders were found 12 deposited on the inner side of the glass bulbs and the 13 contact wires. These findings, together with the scene 14 observation that water was found inside their respective 15 housings, indicate that the filaments of the light bulbs 16 could have been illuminated when the glass bulbs were 17 cracked probably due to water ingress into the housings 18 of these navigation lights." 19 One point I wish to clarify with you is how is it 20 possible to conclude from the existence of powders 21 deposited from the inside, and also the fact that water 22 was found inside their casings, how would this enable 23 you to form a view whether they were actually 24 illuminated as of 8.20 pm on 1 October? 25 A. If the filament was on at the time of the accident, that</p>

<p style="text-align: right;">Page 69</p> <p>1 means the filament will become very hot. At that time, 2 if the glass bulb was broken and water coming inside, 3 then the filament, that is made of tungsten, will 4 immediately have a reaction, oxidation, then will result 5 in the formation of some tungsten oxide, which is white 6 powder, which will deposit inside the glass bulb. If 7 the filament is cool, that means just a piece of metal 8 without heating, without turning on, even if the glass 9 bulb was broken and the water came inside, there will be 10 no reaction. So it will appear as a shiny filament. 11 So the presence of white powder on the filament 12 indicates that at the time of the glass bulb breaking, 13 it is hot. When it is hot, it means it could have been 14 illuminated. 15 Also, because the housing of the sidelight was 16 intact, so how could the glass bulb was broken? It's 17 probably because the glass bulb was very hot. When the 18 water coming inside and cool down, due to the 19 temperature difference, the glass bulb cracked. So this 20 is another finding which supports the glass bulb of the 21 sidelight was illuminated at the time of the accident. 22 Q. From what you said, the formation of tungsten oxide was 23 the result of a chemical reaction caused by water 24 getting into the bulb; correct? 25 A. With a hot filament.</p>	<p style="text-align: right;">Page 71</p> <p>1 Q. -- when you deal with a tungsten filament, seeing powder 2 of that nature? 3 A. Correct, yes. 4 THE CHAIRMAN: Do you have photographs of the bulbs that we 5 could look at? 6 A. For the light bulb? Yes, I have. 7 MR SHIEH: Could we see it, and maybe that could be scanned 8 as well. 9 THE CHAIRMAN: Photographs that illustrate this point about 10 the tungsten oxide powder. 11 (Handed). 12 So it's the white powder that's attached to the 13 damaged filament that is what you're describing as the 14 tungsten oxide? 15 A. Correct. 16 THE CHAIRMAN: Yes. Perhaps that could be scanned and 17 copied and we'll take that as an extra photograph. 18 Perhaps you'd show counsel first. 19 MR SHIEH: Tungsten oxide is white in colour? 20 A. Yes, mostly white. 21 Q. Mostly white. What would the black powder be? Because 22 you talked about "numerous white/black powder". 23 A. Sometimes it is some -- just the non-reacted tungsten 24 vaporises and will deposit on the cold surface. 25 Q. Thank you. But the important feature, the indicator,</p>
<p style="text-align: right;">Page 70</p> <p>1 Q. Hot filament, with hot filament. Therefore the 2 existence of the powder inside the bulb, which you took 3 to be tungsten oxide -- 4 A. Correct. 5 Q. -- it could not have been the result of the bulb being 6 in use on some prior journeys, right, because it could 7 only have been the result of the breakage of the -- 8 A. Yes, correct. 9 Q. -- bulb, with water going in, reacting with hot 10 filament? 11 A. Correct. 12 Q. Have you done any test on the powder to ascertain that 13 it in fact is tungsten oxide, the result of chemical 14 reaction? 15 A. Because I have quite a lot of experience on examination 16 of light bulbs from traffic accident cases, and I have 17 done similar examinations before, and all the results 18 agreed that it's tungsten oxide. So from my experience, 19 I did not do a detailed examination of that white 20 powder. 21 Q. Thank you. In other words, that is the sort of thing 22 that is taken for granted in your area of expertise, so 23 you don't actually have to do a separate test every 24 time -- 25 A. Correct.</p>	<p style="text-align: right;">Page 72</p> <p>1 would be the presence of the white powder? 2 A. Yes. 3 Q. Because that illustrates the existence of tungsten 4 oxide? 5 A. Correct. 6 THE CHAIRMAN: Sorry, I missed your explanation for the 7 presence of some black particles. What causes the 8 black? 9 A. It could be the tungsten vaporising during normal 10 operation and depositing on the side. But for 11 sometimes, if the oxygen inside the light bulb was 12 consumed, then no more oxygen for the reaction, then the 13 tungsten will deposit on the glass bulb, on some cold 14 areas. But I think the white powder will be a much more 15 stronger indication rather than the black, but this is 16 the observation I find, so I just note it down. 17 THE CHAIRMAN: But it's the white one that you rely on for 18 your opinion? 19 A. Yes, correct, and also the cracking of the glass bulb. 20 Because I've said that the housing was intact, and the 21 glass was firmly affixed on it. So it should be due to 22 rapid cooling of the hot glass, otherwise the glass bulb 23 wouldn't be broken. 24 THE CHAIRMAN: Yes. Yes, thank you. 25 MR SHIEH: I thought you mentioned unreacted tungsten</p>

<p style="text-align: right;">Page 73</p> <p>1 earlier in your answer. 2 A. Yes. 3 Q. Unreacted tungsten which became vaporised and which 4 resulted in -- 5 A. Condensed, yes. 6 Q. -- the black powder? 7 A. Yes. 8 Q. Unreacted tungsten meaning the tungsten which had not 9 undergone oxidation? 10 A. Yes. Maybe -- there are two causes. Maybe on this 11 occasion, all the oxygen nearby was consumed, then no 12 more oxygen for the oxidation. Or, maybe due to the 13 normal operation of this glass bulb, some tungsten will 14 vaporise due to the operation, because the tungsten -- 15 the filament is very hot during the process. That's why 16 sometimes the filament will fail, because -- maybe it's 17 related to this. But my conclusion is drawn mainly 18 based on the white oxide, the white powder. 19 THE CHAIRMAN: Thank you. 20 MR SHIEH: You mentioned your experience in conducting 21 similar tests in traffic accident cases. You have to 22 forgive my ignorance here: it's a rather conventional 23 way when you investigate whether or not, let's say, 24 headlights are on when you investigate a traffic 25 accident; right?</p>	<p style="text-align: right;">Page 75</p> <p>1 oxygen inside will react with the hot filament to 2 produce the tungsten oxide. 3 Q. Thank you. 4 Paragraph 4.9.2: 5 "No damage to the light bulb ... from the all-round 6 navigation light was found. The filament was intact and 7 the light bulb was found to be functional. I could 8 neither confirm nor disprove whether the filament of the 9 light bulb was illuminated at the time of the accident." 10 Because there was no cracking, and therefore the 11 indications that you had examined for the sidelights 12 were not present, and therefore you could not conclude 13 one way or the other? 14 A. Correct. 15 Q. When you come to "Analysis", section 5: 16 "The results of forensic paint examination, the 17 agreement in size and shape of the damage to the both 18 vessels, the transfer of fibreboard panel of Sea 19 Smooth's hull to Lamma IV, particularly the bow of the 20 port hull of Sea Smooth, strongly indicate that Sea 21 Smooth's port bow had come into contact with Lamma IV's 22 port quarter." 23 Do you confirm that? 24 A. Confirm. 25 Q. Paragraph 5.2:</p>
<p style="text-align: right;">Page 74</p> <p>1 A. Correct. We need to determine whether the light was 2 turned on or not because this relates to the cause of 3 the accident. 4 Q. And you would describe this to be a rather routine and 5 conventional type of testing, whether or not lights were 6 on? 7 A. Yes. 8 Q. But that would depend on a process of rapid cooling, you 9 said; right? 10 A. The breaking of the glass bulb. 11 Q. The breaking of the glass bulb was the result of rapid 12 cooling? 13 A. Correct. 14 Q. Right. But the oxidation to form tungsten oxide was the 15 result of influx of water? 16 A. Yes, and the hot filament reacting with the oxygen. 17 Q. Hot filament reacting with oxygen? 18 A. Yes. 19 Q. Right. Thank you. But that has nothing to do with 20 water? 21 A. Yes. Hot filament reacting with oxygen, not water, 22 correct. 23 Q. Because the water, the contribution of the water in this 24 case, to cause the rapid cooling -- 25 A. Yes, cause the cracking of the glass bulb, and then the</p>	<p style="text-align: right;">Page 76</p> <p>1 "The gash on the port side passageway of Lamma IV 2 suggest that the centrelines of the two vessels against 3 each other at the moment of collision were at an angle 4 of approximately 30 degrees." 5 At this point, I would wish you to consider 6 Dr Armstrong's second report in the same bundle. 7 Before we do that, the photographs are now 8 available. (Handed). 9 THE CHAIRMAN: Perhaps we could put the scanned photograph 10 so everyone can follow it, onto the screen. 11 MR SHIEH: Dr Cheng, if you look at the top right-hand 12 corner of the recently scanned sheet, we have 13 "Examination Worksheet. Issue date: 31 July 2012". 14 That has nothing to do with the date of examination, 15 that is simply because this standard work sheet was 16 issued on this date; correct? 17 A. Yes. 18 Q. The actual date of examination was actually in November, 19 right, because we can see that at the bottom of this 20 page; correct? 21 A. Right. 22 Q. So these pictures were taken of what remains in a bulb 23 found on Lamma IV. 24 A. Correct. 25 Q. The bottom photos show the white powder?</p>

<p style="text-align: right;">Page 77</p> <p>1 A. Correct, deposited on the filament. 2 Q. Left and right? 3 A. Yes, both. 4 Q. Both depicted the white powder which you concluded to be 5 tungsten oxide? 6 A. Correct. 7 Q. Thank you. That is the masthead light, my learned 8 friend asked me to ask you to confirm. 9 In which lights were all these various filaments 10 found? Because the lab reference is GPW 134 -- 11 THE CHAIRMAN: Just give Dr Cheng a moment. 12 A. This is the masthead light. 13 THE CHAIRMAN: Did you take photographs of the starboard and 14 port lights? 15 A. Yes, as well. 16 THE CHAIRMAN: Do you have those as well? 17 A. Yes, in the same file. 18 THE CHAIRMAN: Yes. May we see them. 19 A. Okay. 20 MR SHIEH: The relevant reference should be 13412 and 13413. 21 This is 13415, which is the masthead. 22 THE CHAIRMAN: Take your time, Doctor, and choose the best 23 example for us. 24 MR SHIEH: Just to confirm, the stern light covered in mud, 25 that wasn't examined and therefore that didn't form any</p>	<p style="text-align: right;">Page 79</p> <p>1 speed of the two craft. According to my measurements, 2 the angle of the gash in the deck of the Lamma IV was 3 30 degrees when taken down the centre of the gash, and 4 at the inboard edge of the gash the angle was 5 28 degrees. These angles, when considered with the 6 relative speed of the two craft, show that the two boats 7 met at a difference in true heading angle of 8 approximately 41.6 degrees, as discussed in my report in 9 paragraph 15, and not at 30 degrees. The vector diagram 10 is illustrated in appendix IV item 19, with Lamma IV 11 moving at 11 knots 'up the page' and Sea Smooth moving 12 at 22 knots from the top left towards the bottom right 13 at an angle of 41 degrees. In this case they meet at 14 a combined speed of 31.1 knots and an apparent relative 15 angle of 28 degrees, but the true heading difference was 16 41.6 degrees." 17 The vector diagram is to be found at page 487. 18 A vector is simply a scientific term for a quantity with 19 a direction? 20 A. Correct. 21 Q. Page 487 shows Dr Armstrong's analysis of the angle when 22 one takes into account the relative movement of the two 23 crafts. 24 First of all, let me put you in the frame. The 25 speed at which they were travelling obviously is</p>
<p style="text-align: right;">Page 78</p> <p>1 part of this analysis of the bulb; correct? 2 A. Sorry? 3 Q. The stern light, there is a separate stern light but 4 because it was covered in mud, you did not conduct 5 further examination; correct? 6 A. Yes, I did not examine. 7 (Handed). 8 THE CHAIRMAN: We'll have those two pages of photographs 9 scanned and copied, and we can come back to that in due 10 course. 11 MR SHIEH: Whilst that's being done, Dr Cheng, perhaps we'll 12 continue with the report. I was about to ask you to 13 look at Dr Armstrong's second report. Can you look at 14 page 475 of the same bundle. In Dr Armstrong's second 15 report, paragraph 9(d) -- 16 THE CHAIRMAN: You're dealing now with the issue of the 17 angle of collision? 18 MR SHIEH: Yes, correct. 19 THE CHAIRMAN: Thank you. 20 MR SHIEH: "In paragraph 5.2 and in his summary at 6.1 of 21 his report, Dr Cheng comments that the two boats met at 22 an angle of approximately 30 degrees. I would like to 23 clarify that the measured angle of 30 degrees is not the 24 angle at which the two craft met, because a geometric 25 correction needs to be applied to allow for the relative</p>	<p style="text-align: right;">Page 80</p> <p>1 an assumption that is now being built in. Dr Armstrong 2 proceeded on the basis of 11 and 22. Obviously some 3 other exercise would be required to see whether those 4 were indeed the speeds at which they were travelling. 5 A. Yes. 6 Q. But would you accept that with crafts travelling at 7 speeds of that sort of order of magnitude, to ascertain 8 the really angle where they met, some adjustments would 9 have to be made to cater for their relative speed? 10 A. I have no knowledge on this, and I have no expertise in 11 this area, so I cannot comment on this one. 12 Q. Thank you. So your measurement was simply the 13 measurement of the angle of the gash, physically 14 measured? 15 A. Correct. Yes, a physical measurement, and also because 16 the gash is irregular in shape. So I used -- just 17 depending on which edge I used. So the angle I report 18 is approximately 30 degrees, and I think it agrees with 19 what has been done by Dr Armstrong, 28, should be 20 similar. 21 Q. Actually, 30 was the angle he took down the middle. 22 A. Yes, correct, yes. But because this is not a very -- 23 how do you say? Just illustrates approximately the 24 angle. There is no use to -- it is no use to 25 accurately -- to document what is the exact angle, in my</p>

<p style="text-align: right;">Page 81</p> <p>1 opinion. So that is why I just used about 30 degrees, 2 and that's what my opinion is at the time of making this 3 gash, the angle. So if we consider the whole movement, 4 and my opinion also as well is that the angle of two 5 vessels should be changing at the time, so it is quite 6 difficult to explicitly say at what angle when the two 7 vessels come together. 8 But this is the opinion, that the angle of the gash, 9 and I projected it to the angle of the collision of 10 these vessels. But please be reminded I did not 11 consider the manoeuvre of the two vessels. 12 THE CHAIRMAN: So you're helping us as to the angle of the 13 gash in Lamma IV? 14 A. Yes. 15 THE CHAIRMAN: 30 degrees? 16 A. Correct. 17 THE CHAIRMAN: Thank you. 18 MR SHIEH: Thank you. 19 We move back to the text of your report. This is 20 the third line down, paragraph 5.2: 21 "The foredeck of Sea Smooth had breached the side 22 panel of the main deck cabin of Lamma IV, and went in 23 and reached the centreline of the main deck cabin, 24 crushing the seats and the central unit of the 25 air-conditioning system on the port quarter and causing</p>	<p style="text-align: right;">Page 83</p> <p>1 A. Correct. 2 Q. The angle of 30, the angle -- 3 A. Yes. No, the slanted gash. 4 Q. The slant is not 30, I know. 5 A. Yes, correct. 6 Q. "The strong force of collision had torn the fibreboard 7 planking of the port bow of Sea Smooth apart. Then, Sea 8 Smooth remained its forwards momentum and the broken 9 keel, which was hardest part of the hull, further 10 sideswiped the port side hull of Lamma IV so the gash on 11 the hull of Lamma IV changed direction, running along 12 the chine, leaving the set of smooth and continuous 13 scratches on the hull of Lamma IV." 14 Now, for the broken keel, could I ask you to look at 15 page 386. This depicts the port hull of Sea Smooth, 16 with a huge part missing. 17 A. Correct. 18 Q. But we have seen from the photograph that there is 19 a fragment from Sea Smooth, blue in colour, which was 20 found embedded in the diagonal gash. 21 A. The gash, correct. 22 Q. From that, we could draw the inference or come to the 23 conclusion that that broke apart -- 24 A. And torn apart, yes. 25 Q. -- and was embedded. Part of that was actually embedded</p>
<p style="text-align: right;">Page 82</p> <p>1 collapse of a large piece of ceiling frame." 2 Pausing here. This basically is a summary of what 3 we have seen, including this morning, Dr Armstrong's 4 reconstruction showing the maximum point of penetration? 5 A. Correct, and I based on the blue paint smear on the roof 6 to reach this conclusion. 7 Q. Thank you. Just so that we can identify the relevant 8 part of the analysis with the detailed discussions we 9 have had so far, this is the exercise I'm going through 10 with you. 11 "At the same time, the bow of the port hull of Sea 12 Smooth had pierced open the hull of Lamma IV ..." 13 So in terms of the relevant part of the two vessels 14 we are talking about, the top six lines, we are talking 15 about the foredeck and the impact it had on the -- 16 A. Main deck, yes. 17 Q. -- main deck of the vessel. Now we are moving further 18 down -- 19 A. Correct. 20 Q. -- to look at the impact of one hull on the other one. 21 A. Correct. 22 Q. Thank you. 23 "... causing the slanted gash in the engine room at 24 compartment D." 25 That's the diagonal gash that we've seen.</p>	<p style="text-align: right;">Page 84</p> <p>1 in Lamma IV? 2 A. Correct. 3 Q. And was causative of that gash? 4 A. Yes. 5 MR SHIEH: Could I pause here whilst we examine the latest 6 photographs. 7 Mr Chairman, I suggest that with these latest 8 photographs that have recently come in, they will in due 9 course be allocated a page number and -- 10 THE CHAIRMAN: Yes. They should be added to the photographs 11 Dr Cheng has already produced. 12 MR SHIEH: Yes, part of the expert bundle, continuing 13 onwards. 14 THE CHAIRMAN: Yes. 15 MR SHIEH: Dr Cheng, these are two extra sheets. If you can 16 look at the laboratory reference at the bottom left-hand 17 corner. Let's look at 13412 first. 13412 is the 18 laboratory reference for the port side light bulb? 19 A. Yes. 20 Q. Do you see 13412 on the bottom left-hand corner? Do you 21 see that, Dr Cheng? 22 A. Correct. Yes, I see. 23 Q. Yes, and that corresponds, if we look at the expert 24 bundle, page 375, paragraph 4.7 -- that is the port side 25 red-light light bulb; correct?</p>

<p style="text-align: right;">Page 85</p> <p>1 A. Correct. 2 Q. 13413, one row down, represents the green-light light 3 bulb, starboard, and that is the other sheet -- 4 A. Other sheet. 5 Q. -- that you had shown us, 13413. Correct? 6 A. Correct. 7 Q. So we now have port and starboard. 8 If we look at 13412, on the bottom right-hand 9 corner, we can see white particles -- 10 A. The bottom left. 11 Q. -- all around the damaged filament. Correct? 12 A. Correct. 13 Q. In fact the right-hand photo is a close-up of 14 a particular part of the left-hand photo; is that 15 correct? 16 A. The left-hand one is the close-up of the right-hand, or 17 the upper one. 18 Q. Of the upper -- sorry? Sorry, the right-hand one is 19 a close-up of the right part of the left-hand photo? 20 A. Uh, yes. 21 Q. Because you see the arrow there? 22 A. Yes. 23 Q. Also there is a microscopic view of -- 24 A. The filament, the broken filament. 25 Q. The filament, yes.</p>	<p style="text-align: right;">Page 87</p> <p>1 Q. Right. 2 A. But the most important is that the glass bulb was 3 broken, cracked, and also we observe some white oxide. 4 And also, the colour of filament. And I have a control 5 filament -- I don't know whether the Chairman wants to 6 see it. In original form, you can see the filament was 7 shiny when it is not damaged. 8 THE CHAIRMAN: Yes, perhaps that would help us. 9 MR SHIEH: That's 13416. 10 A. Yes. 11 THE CHAIRMAN: May we see that. 12 A. Yes. You will see from the picture the original form of 13 the filament. It appears shiny. (Handed). 14 THE CHAIRMAN: Yes, we'll scan that as well. Thank you. 15 MR SHIEH: What were the conditions of the control, 16 actually? It was switched on or switched off? 17 A. The control is provided from police. I don't where they 18 take it from. But should not be related to Lamma IV. 19 Just of the same model to illustrate the original form. 20 Q. Yes, I know. But you have to describe the conditions 21 under which -- 22 A. The condition, it is intact, without broken. 23 Q. Not broken, intact? 24 A. Yes, intact. But even if the glass bulb was broken, the 25 tungsten at room temperature will not oxidise, will</p>
<p style="text-align: right;">Page 86</p> <p>1 A. And it is obvious, some white powder deposit on it. 2 Q. Yes. The top part of this photograph, we don't see any 3 white particles? 4 A. Yes, this is the -- let me see. The other end of the 5 filament. 6 Q. The other end of the filament? 7 A. Yes, because the filament was broken and most of the 8 filament was missing. The top one is the filament on 9 one end; the bottom one is the filament on the other 10 end. 11 Q. But the top one does not have the white particles? 12 A. Yes. 13 Q. Can we look at 13413, that being the green light, 14 starboard. This one, we see black smoke particles. Can 15 you point at any white particles? 16 A. The white powder in this photograph was not denoted, but 17 you can see below the filament -- yes, here, the cursor 18 indicates it's the white powder. 19 Q. Yes. 20 A. And maybe you will ask the question why not much white 21 powder was found on the filament. 22 Q. Yes. 23 A. It's that it is a very complicated reaction. Depends on 24 temperature, how fast the oxygen comes in. So in 25 each -- this case, the amount of oxide will be varied.</p>	<p style="text-align: right;">Page 88</p> <p>1 appear at the same even now the glass bulb was not 2 broken. 3 THE CHAIRMAN: At what temperature does it oxidise? 4 A. Should be at a very high temperature. For this kind of 5 filament, the temperature normally reaches about 6 3,000 degrees. 7 MR SHIEH: Celsius? 8 A. Yes, Celsius. So for some cases, for the traffic 9 accident cases, because the headlight will crush, and if 10 the glass -- the glass, when hit on the filament, will 11 melt and deposit on it. So that's why we understand the 12 temperature was very high, then the reaction will taken 13 place at this temperature. 14 THE CHAIRMAN: Thank you. 15 MR SHIEH: So the control experiment, the condition is that 16 it is switched on but the glass was intact? 17 A. Yes. 18 Q. And examination would show that the physical appearance 19 of the filament would be shiny? 20 A. The control was just used for comparison. 21 Q. Yes, I know. 22 A. I did not do any testing on it. 23 Q. I know, I know. But in terms of appearance, the 24 control -- the difference in appearance between the 25 control --</p>

<p style="text-align: right;">Page 89</p> <p>1 A. And the -- yes. 2 Q. -- and the damaged bulbs was that the control, the 3 filament appeared to be shiny? 4 A. Yes, shiny, and different from the one collected from 5 Lamma IV. 6 Q. Returning to paragraph 5.2. We were talking about the 7 embedding of the missing part of the port hull of Sea 8 Smooth in the gash of Lamma IV. I think in 9 paragraph 5.2, I stopped reading at "continuous 10 scratches on the hull of Lamma IV". Then you said: 11 "When the broken keel of Sea Smooth reached the 12 position of the bulkhead between the engine and tank 13 rooms of Lamma IV, the gash on Lamma IV ended and 14 replaced by deep scratches on the hull surface, probably 15 due to the hull having been reinforced by the bulkhead." 16 Could I ask you to look at your album, page 387. 17 Could we have a close-up. 18 Let me finish with this point about the hull of 19 Lamma IV before we go back to your control. 20 Now, we are at a point in time when the broken keel 21 reached the position of the bulkhead between the engine 22 and tank rooms. So if we were to zoom in on this 23 photograph, we are at the point in time where the port 24 hull would have reached the position of that rope 25 dangling from that -- yes. This point in time, where</p>	<p style="text-align: right;">Page 91</p> <p>1 resulting in the disengagement of the two vessels." 2 In your opinion, what would have stopped Sea Smooth 3 continuing to move forward? Because we know that the 4 maximum point of penetration was near the centre of the 5 ship. 6 A. Yes. 7 Q. But in your opinion, why did it not continue to move 8 forward? 9 A. If Sea Smooth continued to move forward, I would suppose 10 the wall of the main deck cabin and also the 11 air-conditioning units will crush down. Since the fact 12 is that they are intact, so when Sea Smooth reached that 13 position, it cannot go further. 14 On the other hand, when we see the foredeck of Sea 15 Smooth -- in page 384, that is the front panel of the 16 main deck cabin of Sea Smooth. 17 Q. Yes. 18 A. The blue smear on the front panel of the main deck is 19 an indication that the edge of the weather deck reached 20 this position. Because the front panel of this main 21 deck cabin was strong, and also the vessel cannot 22 further penetrate into the Lamma IV, so these two 23 positions, the main deck -- the front panel of the main 24 deck cabin and also the air-conditioning unit in the 25 Lamma IV, these two, my opinion is that will stop Sea</p>
<p style="text-align: right;">Page 90</p> <p>1 the gash ended; correct? 2 A. Correct. 3 Q. When you said "replaced by deep scratches on the hull 4 surface", the deep scratches would be the scratches in 5 that narrow strip between the two holes, right? 6 A. Yes, the position of the cursor indicates that. 7 Q. That is because a hole could not be formed because there 8 was a bulkhead over there; correct? 9 A. Correct. 10 Q. You went on: 11 "Without reinforcement of the bulkhead, the hull of 12 Lamma IV at the tank room yielded again and the broken 13 keel of Sea Smooth ripped it open and left a hole 14 there." 15 A. Yes. 16 Q. Basically that was the other hole on the right-hand side 17 that we saw at page 387. So that's the other hole. 18 "At that moment, the foredeck of Sea Smooth had 19 probably reached the air-conditioning unit at the rear 20 of the main deck cabin of Lamma IV, while the port side 21 of the weather deck of Lamma IV had come into contact 22 with the front panel of the main deck cabin of Sea 23 Smooth. Therefore, the impact between the main deck 24 cabins stopped Sea Smooth moving forwards after ripping 25 the hole in the tank room of Lamma IV, probably</p>	<p style="text-align: right;">Page 92</p> <p>1 Smooth continuing its forward moment. And the collision 2 between these two areas may contribute some force, 3 resulting in the disengagement of the two vessels. 4 Q. When you refer to the disengagement of the two vessels, 5 are you describing a scenario whereby the two vessels 6 disengaged simply as a result of the force exerted at 7 the point of collision and not because of, let's say, 8 a deliberate movement or manoeuvring on the part of 9 either of the vessels? 10 A. Probably, but my opinion is that it is more likely the 11 collision caused the two vessels to separate. But, 12 sure, I cannot totally exclude that the Sea Smooth has 13 deliberately reversed. 14 Q. Because you refer to this concept of disengagement, and 15 that is why I would wish to perhaps follow up. 16 You say you cannot exclude the possibility of Sea 17 Smooth having reversed out? 18 A. Yes, because I cannot find any physical evidence to 19 support this one. 20 Q. Right. 21 A. But just from the overall damage, my opinion is more 22 likely that they disengaged due to the collision. 23 Q. Right. When you say "disengaged due to the 24 collision" -- separated? 25 A. Separate from each other.</p>

<p style="text-align: right;">Page 93</p> <p>1 Q. Right. Stripped of scientific language, basically the 2 two vessels collided and obviously each would have been 3 travelling at a particular speed. 4 A. Correct. 5 Q. And obviously, when two moving objects collide, the 6 rules of physics would actually dictate their movement 7 thereafter, even if no extra force or extra manoeuvring 8 were applied, if they simply continue in their natural 9 course. 10 A. Yes, because since the bow of the port hull of Sea 11 Smooth -- if that part was not torn apart, I think the 12 port bow will hold the Sea Smooth firmly. But because 13 the planking of the port bow of Sea Smooth has torn 14 apart, left in Lamma IV, so the two vessels, my opinion 15 is that there is not anything physically to make the 16 damage -- maybe I will use the term Dr Armstrong used -- 17 "join". Because there are no strong forces holding the 18 two vessels together. 19 So once Sea Smooth continued to move forward, when 20 it hit on the rear -- correct, it's the law of 21 physics -- when the two objects collide together, the 22 force will maybe push -- for example, my left hand is 23 Lamma IV; this is Sea Smooth. When it hits on the rear, 24 it will apply force, push it here. And maybe -- it 25 depends on how much force is remaining.</p>	<p style="text-align: right;">Page 95</p> <p>1 A. Correct. 2 THE CHAIRMAN: The gesture you made with your hand was that 3 Lamma IV would then move its stern towards its 4 starboard, which is consistent with the direction, 5 broadly, that Sea Smooth was moving. 6 A. Yes. 7 MR SHIEH: I think you also mentioned a point, that because 8 of the breaking of the port hull -- 9 A. Correct. 10 Q. -- we know the missing stem bar -- 11 A. Yes. 12 Q. -- the entire part that was missing -- 13 A. Yes, and wedged in the gash. 14 Q. If I could use a kind of layman-like, figurative term, 15 it is not like a dagger having been stuck into 16 somebody's body and somehow it remained there? 17 A. Yes. 18 Q. It's a case where actually the top of the dagger, the 19 tip of the dagger actually broke off and the tip of the 20 dagger that broke off is that bit which remained in the 21 gash? 22 A. Yes. 23 THE CHAIRMAN: Just dealing with the stem bar and keelson of 24 the port hull of Sea Smooth. Do we have information 25 that tracks down the maintenance record? We were</p>
<p style="text-align: right;">Page 94</p> <p>1 If at the moment of the contact, the force is very 2 small, then maybe it will just loosen apart a little 3 bit. But if the force is strong, then it will push this 4 backwards. But because I cannot ascertain the speed at 5 the time of contact, the bow hit the central 6 air-conditioning unit and also the weather deck hit the 7 front panel of Sea Smooth, so I cannot ascertain 8 accurately whether at the end of the collision or the 9 contact, I cannot ascertain whether they will completely 10 separate totally. But my opinion is that more likely 11 Sea Smooth will push Lamma IV to that way and may 12 separate on its own. This is -- 13 THE CHAIRMAN: For the record, when you say it's more likely 14 that Sea Smooth would push Lamma IV "that way", that's 15 in the same direction that the stern of Sea Smooth was 16 moving; is that right? In other words, the stern of 17 Lamma IV would move towards its starboard? 18 A. Yes, to the starboard. Yes. 19 THE CHAIRMAN: Have I got that accurately? 20 A. Can you repeat? 21 THE CHAIRMAN: Yes. I'm just trying to put down what "that 22 way" means, because when someone reads the transcript, 23 they won't understand that. 24 You've got Sea Smooth coming into contact with the 25 port quarter of Lamma IV.</p>	<p style="text-align: right;">Page 96</p> <p>1 provided with some material that doesn't seem to answer 2 that. 3 MR SHIEH: That was a question that was asked yesterday, the 4 metal plate that would show that it was actually taken 5 for maintenance. 6 THE CHAIRMAN: Yes. Perhaps we can come back to that later. 7 MR SHIEH: It's being followed up. There was a reminder 8 this morning and also I think there's a reminder now. 9 Dr Cheng, can we now come back to the control 10 experiment. The examination worksheet that we now see 11 on the screen. We can see that it concerns a filament 12 bulb which has not been broken. So this represents what 13 you get at the end of the day, after having switched on 14 the light bulb; right? The light bulb has been switched 15 on. 16 A. Yes, this can be switched on, but it's not related to 17 Lamma IV. 18 THE CHAIRMAN: No, but it's not switched on in the 19 photograph, is it? 20 A. I just do it in the laboratory, make sure that this one 21 can work properly. 22 THE CHAIRMAN: Yes. 23 A. Then I take a record, just for comparison. 24 MR SHIEH: Yes. So this is basically what a normal, 25 unbroken filament, tungsten filament would look like?</p>

<p style="text-align: right;">Page 97</p> <p>1 A. Correct. Exactly. 2 Q. And in the normal course of things, if you had switched 3 on a filament bulb and switched it off and simply 4 observed it -- perhaps I'll scrap that, because if you 5 have just switched off a filament, there should still be 6 some light glowing. 7 A. Sorry, can you -- 8 Q. Not a very good question. Anyway ... 9 Indeed, the purpose of the control is simply to 10 compare the appearance? 11 A. Correct, yes. 12 Q. I'll now move on in your expert report to paragraph 5.3: 13 "The gash and the hole were respectively in the 14 engine room and tank room ... of Lamma IV. The lower 15 half of the gash and the hole were below the waterline 16 and they were large, so flooding of the engine room and 17 tank room, including compartment F ..." 18 Compartment F was the steering gear compartment; 19 correct? 20 A. Correct. 21 Q. "... which was separated from the tank room by 22 a non-watertight bulkhead, could have been immediately 23 and unstoppable. Flooding of the three aft compartments 24 out of a total of six would finally cause the bow of 25 Lamma IV to tilt up and the stern immersed in water</p>	<p style="text-align: right;">Page 99</p> <p>1 shape of the mounting holes to grip the screws tightly. 2 The mounting holes could have been enlarged/deformed 3 over time such that the grip of the screws would be 4 reduced, and the screws would be loosened. Therefore, 5 the loosened screws had to be remounted to the 6 fibreboard deck at new positions, resulting in more than 7 a pair of holes in some of the mounting positions of the 8 seats in the upper deck cabin." 9 Here we are talking about the phenomenon at page 394 10 of the bundle that we saw, with two pairs of parallel 11 holes; correct? 12 A. Yes, exactly. 13 Q. You would reckon that the need to actually drill another 14 pair of holes was because the original pair had somehow 15 worn out or were no longer strong enough to hold the 16 grip of the screws, and that's why they had to pull it 17 out and create a new pair of holes? 18 A. Exactly. 19 Q. Thank you. Paragraph 5.6: 20 "The force ... required to detach seats with four 21 mounting plates, affixed ... was found to be less than 22 230 kilograms force when pulling at the bottom frame. 23 If the force was evenly exerted on the seats, viz, a 24 person sitting or hanging on it while the vessel was 25 vertical, the force needed to detach the seat might be</p>
<p style="text-align: right;">Page 98</p> <p>1 vertically." 2 Correct? 3 A. Correct. 4 Q. "The rectangular imprints on the deck of the upper deck 5 cabin of Lamma IV and the presence of detached seats 6 strongly indicate that the seats had been originally 7 affixed to the deck but they were detached from their 8 mounts recently. Recovery of numerous 2.7 cm long 9 screws and the examination of the remaining seat in the 10 upper deck cabin indicate that the 2.7 cm long screws 11 were used to secure the seats on the fibreboard deck, 12 which was made up of 3 mm fibreboard on top of 3 cm 13 thick foam." 14 Can you look at some photographs which Dr Armstrong 15 produced. It's page 467 of the same bundle. If you 16 look at the sketch at the bottom of that page, does that 17 fairly represent the sort of scenario that you are 18 describing at the bottom, at the end of your 19 paragraph 5.4? 20 A. Yes, agree. 21 Q. Thank you. Back to your report, paragraph 5.5: 22 "The findings in paragraphs 3.6.2-3.6.5, 23 particularly more than two screw holes in one mounting 24 position, indicate that the fibreboard deck of the upper 25 deck of Lamma IV was not strong enough to maintain the</p>	<p style="text-align: right;">Page 100</p> <p>1 reduced by half to less than 115 kilograms." 2 That was the part that we actually looked at 3 earlier. This was the point about the further away you 4 are, the less force you would need. 5 A. Correct. 6 Q. Thank you. Paragraph 5.7: 7 "When the bow of Lamma IV started tilting up, the 8 fallen false ceiling panels, the detached seats and 9 victims not having grabbed some fixtures would roll to 10 the rear end of the upper deck cabin, probably blocking 11 the door to the weather deck, which was the only exit as 12 indicated by the exit signs. At that juncture, the only 13 available exit should be the opening of the sliding 14 windows on either side, of which only the first one on 15 the starboard side was open. 16 The seats in the main deck cabin of Lamma IV were 17 secured to the metal deck of 2.7 cm long bolts, and they 18 remained in their places after the tragedy, indicating 19 that the metal deck was strong enough to hold the bolts 20 as well as the seats." 21 Dr Cheng, you confirm all that? 22 A. Yes. 23 Q. Paragraph 5.9: 24 "The bulbs of the two sidelights and the masthead 25 light of Lamma IV all could have been on before their</p>

<p style="text-align: right;">Page 101</p> <p>1 glass bulbs were cracked, probably due to rapid cooling 2 of the hot glass bulbs by water ingress." 3 A. Agreed. 4 Q. "No stowage of life jackets was found on the weather 5 deck of Lamma IV. Passengers on the weather deck had to 6 return to either cabin to get life jackets or use the 7 lifebuoys on the weather deck." 8 Correct? 9 A. Correct. 10 Q. "After the collision, the port hull of Sea Smooth had 11 totally lost its first watertight compartment below the 12 foredeck, causing flooding of the second compartment as 13 well. Therefore, the non-watertight manholes in the 14 main deck cabin to these two compartments were exposed, 15 and were about 1.5 metres above the water. Therefore, 16 water splashing onto them, probably by either the 17 movement of the vessel or waves, could have leaked into 18 the main deck cabin." 19 Could I ask you to look at the manholes. You're 20 talking about the same sort of manholes that we see in 21 the album at page 385, correct? You took some photos of 22 the manholes? 23 A. The manhole will be much more clear at page 383, 24 photo 4. 25 Q. Yes.</p>	<p style="text-align: right;">Page 103</p> <p>1 THE CHAIRMAN: So it wasn't a case of rotating the wrench 2 through 360 degrees a few times to screw it down, it 3 was -- 4 A. I see the mechanism is there's a bar at the bottom. 5 When it's switched from one position to the other 6 position, then it engage with the bottom, then the 7 manhole cannot be taken out. 8 THE CHAIRMAN: Yes. 9 A. So this is how the manhole operates. Very simple. 10 THE CHAIRMAN: Thank you. 11 MR SHIEH: You mentioned the absence of rubber sealing, 12 a rubber seal. 13 A. Yes. If this thing designed for watertight, I would 14 suppose there's some sealing. Rubber sealing is 15 commonly used for stop the water coming from one 16 compartment to another compartment, or from one place to 17 another place, even in a laboratory instrument. It is 18 quite common. 19 Q. Because if we look at the appearance of the manhole from 20 inside the cabin at page 385, we can see one manhole has 21 been opened and the other one is closed. You can see? 22 A. Yes. 23 Q. Are you saying that if the manhole does not have 24 a rubber seal, the fact that you could actually affix 25 a lid which could only be opened with a cross-wrench</p>
<p style="text-align: right;">Page 102</p> <p>1 A. You can see the bottom of the manhole in the first 2 compartment. 3 Q. Yes. Page 383. This is the picture of the manhole 4 taken from inside the compartment, going up? 5 A. I was in -- yes, okay, inside the compartment. 6 THE CHAIRMAN: Why do you assert that this is 7 a non-watertight manhole? 8 A. Because I have checked the manhole. I did not find any 9 rubber sealing. If this is watertight, I might expect 10 some rubber sealing on the edge, and the fitting just 11 good enough to cover the hole rather than completely 12 seal the compartment from the main deck. So my opinion 13 is that this is a non-watertight manhole. 14 THE CHAIRMAN: But did it have a mechanism where it could be 15 screwed down by using the lever mechanism? 16 A. I see there is a wrench, just lock the manhole in the 17 position, because I asked a crew member to show me how 18 to open the manhole and when I'm doing this, I find he 19 just turn a switch about -- I don't exactly know how 20 many degrees. When he turn the key, then the manhole 21 did not press down; just remain on the same level. So 22 if he turned the key, if press down, then I suppose 23 I will see this while the crew member did this. But 24 I did not find that. So I just guessed this manhole 25 should be non-watertight.</p>	<p style="text-align: right;">Page 104</p> <p>1 doesn't mean that it's necessarily watertight? You need 2 the rubber sealing to make it watertight; is that what 3 you're trying to say? 4 A. Yes. 5 Q. So even if all the manholes were "closed" by having 6 a lid on, without the rubber seal, it would simply not 7 be watertight, and with a gigantic water influx to one 8 or more of the compartments, water would still leak into 9 the cabin? 10 A. It has this possibility. 11 MR SHIEH: I see that it's 1 o'clock. I will continue 12 perhaps after lunch. 13 THE CHAIRMAN: Yes. 14 Dr Cheng, we're going to take our lunch break now. 15 If you're able to locate those photographs that you were 16 going to try and find -- 17 A. Yes, I will try. 18 THE CHAIRMAN: -- please do so. 19 A. Okay. 20 THE CHAIRMAN: But in any event, please be back here at 2.30 21 to resume your evidence. Thank you. 22 (1.00 pm) 23 (The luncheon adjournment) 24 (2.30 pm) 25 THE CHAIRMAN: Yes, Mr Grossman?</p>

Page 105	Page 107
<p>1 MR GROSSMAN: Mr Chairman, before we begin, I've just been 2 discussing a matter with my learned friends, and that's 3 the position of Mr Tang. 4 THE CHAIRMAN: Yes. 5 MR GROSSMAN: He has been sitting here all week. 6 THE CHAIRMAN: All week? 7 MR GROSSMAN: Since Tuesday, because we never really knew 8 when he was going to be called. It seems unlikely that 9 he'll be called today, and I understand Dr Armstrong on 10 Monday. He will be working at Hongkong Electric, which 11 is in Kennedy Road. My learned friends have no 12 objection to this: I wonder if he could be released on 13 one hour's notice? 14 THE CHAIRMAN: Of course. This is a matter for counsel to 15 resolve, but our apologies to him if he's been waiting 16 since Tuesday. 17 MR GROSSMAN: Not at all. It is understood -- every day 18 there was a possibility he would be called. 19 THE CHAIRMAN: Thank you for raising it. 20 Mr Shieh? 21 MR SHIEH: We shall work out a plan so that Mr Tang can 22 attend this hearing reasonably swiftly upon us getting 23 to a convenient slot. 24 THE CHAIRMAN: Certainly. 25 MR SHIEH: Dr Cheng, I understand that over the lunch</p>	<p>1 A. Yes. And the position of this photograph is on the 2 upper deck cabin, on the port side, near the rear. 3 Q. So we are talking about the rectangular shape where the 4 cursor is now pointing? 5 A. Yes. 6 Q. Pointing to the rectangle -- yes. 7 Can the cursor point -- yes. 8 This is the rectangular mounting plate? 9 A. Yes. 10 Q. And there should be two holes in the middle? 11 A. From this photograph, we can see one on the left, but on 12 the right, maybe it was covered by the dirt. 13 Q. Yes. The one on the left is reasonably clear, because 14 it is against a light-coloured background. 15 A. Yes. 16 Q. That's correct? 17 A. Correct. 18 Q. One might just be able to make out the one on the right, 19 because you can see a part with a particularly darker 20 shade, a circle. 21 A. Yes. 22 Q. The one where the cursor is pointing now? 23 A. Correct. 24 Q. Those two would be where you can find the rivets; that's 25 right?</p>
Page 106	Page 108
<p>1 adjournment you have managed to locate some photographs. 2 A. Yes, two photographs taken by me. 3 Q. Two photographs. 4 I hope that they have been scanned. 5 THE CHAIRMAN: They have, or at least a copy has reached me. 6 MR SHIEH: We all have hard copies, and a scanned copy is 7 now on the screen. 8 Dr Cheng, on the top of this series of 9 photographs -- can you describe to us the location at 10 which you took this photograph? 11 A. This is the wall on the port side, near the door, near 12 the sliding door. 13 Q. Of which cabin? 14 A. The main deck cabin. 15 Q. Main deck? The lower one? 16 A. The lower one, yes. The middle one or -- 17 Q. Yes, the middle one. 18 A. The main deck cabin. 19 Q. Yes. The purpose is, I suppose, among other things, to 20 show the deck plan which was affixed to the wall? 21 A. Yes. 22 Q. How about the bottom photo? 23 A. The bottom photo shows another mounting plate which is 24 used to affix the legs of the seats using rivets. 25 Q. This one shows affixing with rivets?</p>	<p>1 A. Sorry? 2 Q. That is right, right? The darker circle where the 3 cursor is now pointing, that would be where the other 4 rivet would be found? 5 A. Maybe, but I did not make a detailed examination of this 6 because I found it out at the later stage when 7 I prepared my statement. 8 Q. Okay. Thank you. 9 A. So this is just a record showing that probably another 10 mounting plate used for affixing the leg of the chair 11 using rivet. 12 Q. Thank you. Now, concerning the deck plan -- 13 THE CHAIRMAN: Just pausing there, Mr Shieh. 14 Amongst the material we have, do we have any 15 maintenance records from Cheoy Lee as to work done on 16 this vessel, what kind of work was done, as far as this 17 aspect is concerned? 18 MR SHIEH: Mounting of chairs? 19 THE CHAIRMAN: Yes, repairing of chairs. 20 MR SHIEH: We'll follow that up. Not to my immediate 21 recollection, matters such as fixing or refixing of 22 chairs. Perhaps Mr Pao can help. 23 THE CHAIRMAN: Mr Pao? 24 MR PAO: Mr Chairman, my instruction is the chair 25 maintenance was not done by Cheoy Lee.</p>

Page 109	Page 111
<p>1 THE CHAIRMAN: Then by deduction, it looks as though that's 2 a matter that we'd ask you to look at, Mr Grossman. 3 MR GROSSMAN: I certainly will, Mr Chairman. 4 THE CHAIRMAN: Yes. 5 MR SHIEH: Concerning the question of the deck plan, 6 obviously the top photograph shows the deck plan on the 7 wall, but there is no particular photograph where your 8 focus is to take a picture of the deck plan itself, 9 right? Because I suppose if you had, you would have 10 produced it. 11 A. Sorry, what do you mean? 12 Q. The photograph here, the focus is not really on the 13 details of the deck plan. You took a picture and it 14 happened that the deck plan is on the wall. I was 15 asking whether you have taken a photo -- 16 A. Close-up? 17 Q. Close-up. 18 A. No, no. 19 Q. No. 20 A. But this photograph, I just -- I want to illustrate the 21 position. So that's why it is not in the middle, and on 22 the left-hand side we can see the collapsed panel, such 23 that I can clearly know what is the exact position of 24 this deck plan. 25 MR SHIEH: Mr Chairman, despite all the efforts, we were</p>	<p>1 THE CHAIRMAN: Yes. 2 MR PAO: When you see the crosses marked at the rear of the 3 main deck, those are where the life jackets are supposed 4 to go underneath the passenger seats. 5 THE CHAIRMAN: Yes. 6 MR PAO: Then this is the plan that was approved finally. 7 THE CHAIRMAN: Very well. Thank you. 8 The one that's in the photograph that Dr Cheng has 9 kindly found for us, the question going through my mind 10 is, is that something that was on board prior to the 11 sinking of the vessel, or have those who have been 12 trying to sort out where things are in the vessel 13 affixed to the wall during the salvage operation? 14 Can you help us, Dr Cheng? Do you remember? Did 15 this look as though it had been under the water, or is 16 it something that had been brought in by divers and 17 policemen, perhaps, so that they could find their way 18 around the vessel? 19 A. I took this photograph -- let me think -- on the first 20 day of my examination. It's on 3 October. At that 21 time, Lamma IV was beached at Nga Kau Wan. At that 22 time, it was affixed on the wall. 23 THE CHAIRMAN: Thank you. 24 MR SHIEH: Maybe Hongkong Electric may be able to answer 25 whether they have, in the course of --</p>
Page 110	Page 112
<p>1 unable to find a deck plan, whether similar to that one, 2 or at all in the bundles. 3 MR PAO: Mr Chairman, in fact it's marine bundle 2 at 4 page 264. 5 MR SHIEH: Page 264. That's called "Safety plan". 6 THE CHAIRMAN: Does the legend help us as to the 7 circumstances in which the photograph was taken? Is 8 there a legend in this marine bundle 2, page 264, that 9 tells us where and when the photograph was taken? 10 MR SHIEH: Mr Chairman, page 264 is a drawing, not 11 a photograph. The covering letter is from Cheoy Lee, 12 November 1995. 13 THE CHAIRMAN: Yes, I see. So not something displayed on 14 the vessel? 15 MR SHIEH: No. But from visual comparison, it looks like 16 the sort of thing that one found on the vessel. But 17 again, from visual appearance, it bears the appearance 18 of let's say the General Arrangement. Because if one 19 were to look at the General Arrangement, in terms of the 20 layout of the ship, it bears a resemblance, although the 21 underdeck plan contains probably more details. 22 MR PAO: Perhaps I can be of some assistance. My 23 instructions are that this is the plan that was finally 24 approved by the Marine Department as to the seating, 25 after they measured everything.</p>	<p>1 THE CHAIRMAN: Now we've zoomed in it does seem to be 2 securely affixed. 3 MR GROSSMAN: I'm just checking that. 4 THE CHAIRMAN: Thank you. 5 There is a photograph in -- 6 A. And also, Mr Chairman, I remember at that time that 7 piece of paper was still wet, because it's sandwiched 8 underneath a plastic cover, and the water cannot easily 9 go away. So it was wet and I advised the police to make 10 a copy to me for my examination. 11 THE CHAIRMAN: Thank you. 12 Police album III photograph 20, seems to depict the 13 same scene from a slightly farther distance. 14 MR SHIEH: Yes, and one would be able to see a distant image 15 of the same plastic board and the plan underneath. 16 THE CHAIRMAN: Could somebody give us the reference for 17 album III, photo -- 18 MR SHIEH: Police album III, page 145. If we were to zoom 19 into the right-hand side, far right. Underneath the 20 orange life jacket, there seems to be that plan which 21 was hanging. 22 THE CHAIRMAN: Thank you. 23 MR SHIEH: Dr Cheng, I'd like to come back to your written 24 report. Before the lunch adjournment, we were talking 25 about the manhole. Paragraph 5.11.</p>

<p style="text-align: right;">Page 113</p> <p>1 We move on to paragraph 5.12: 2 "The watertight bulkhead of the third 3 compartment ... of the port hull of Sea Smooth could 4 have successfully prevented substantial water ingress 5 from the damaged compartments." 6 That is the bulkhead separating compartments 2 7 and 3; correct? 8 A. Correct. 9 Q. Because compartments 1 and 2 were flooded, so the 10 bulkhead between compartments 1 and 2 was broken, 11 damaged? 12 A. Yes. 13 Q. "The bilge water in compartments 3 and 4 of the port 14 hull was minimal, and should not threaten to sink the 15 vessel. 16 After the collision, crew of Sea Smooth could access 17 and check the damage to the underdeck, the compartments, 18 via the manholes in the main deck cabin, using either 19 cross-wrench, respectively kept near the stern and 20 a storage space under the stairs in the middle of the 21 main-deck deck. It would take a crew member about 22 5 minutes to check all the first 10 compartments for any 23 damage or leakage. 24 The draft measurements showed that after Sea Smooth 25 lost the first two watertight compartments of the port</p>	<p style="text-align: right;">Page 115</p> <p>1 port quarter of Lamma IV at an angle of approximately 2 30 degrees ..." 3 This obviously you have to read subject to your 4 comment about your only measuring the physical 5 dimension. 6 A. Correct. 7 Q. "... ripping a gash of 0.3 metres wide by 4.4 metres 8 long in the engine room of Lamma IV. After collision, 9 the bow of the port hull of Sea Smooth had wedged in the 10 gash on Lamma IV. When Sea Smooth continued to slide 11 along the port hull of Lamma IV aft, the fibreboard 12 planking of the bow of Sea Smooth that was wedged in the 13 gash was torn apart from the hull, leaving behind in the 14 gash, and the broken keel of the port hull of Sea Smooth 15 pierced a hole of about 0.5 metres in the tank room of 16 Lamma IV before the two vessels totally disengaged from 17 each other. As a result of the collision, Sea Smooth 18 had lost the first compartment of the port hull." 19 So far you would confirm all this? 20 A. Confirmed. 21 Q. "During the collision, the foredeck of Sea Smooth had 22 breached the side panel of the main deck cabin of 23 Lamma IV on the port side and jammed into the cabin, 24 crushing the seats on the port quarter and causing 25 collapse of the false ceiling frame. At that juncture,</p>
<p style="text-align: right;">Page 114</p> <p>1 hull, its buoyancy was only slightly affected and the 2 vessel was slanted about 2.4 degrees to the port hull 3 whether it was loaded with 104 persons or not." 4 That actually brings us back to paragraph 2.11.2 of 5 your report, page 366. When you refer to "only slightly 6 affected and the vessel was slanted about 2.4 degrees to 7 the port hull whether it was loaded with 104 or not", 8 you are talking about that table gradient along the 9 width, are you? 10 A. Yes. 11 Q. We move back to paragraph 5.14: 12 "In addition, the draft of Sea Smooth almost did not 13 change after the weight of 104 persons was loaded onto 14 the empty Sea Smooth." 15 By that, I take it that you are again referring to 16 that table at page 366? 17 A. Correct. 18 Q. When you say "the draft almost did not change", you are 19 talking about the draft on the starboard bow, port stern 20 and starboard stern? 21 A. Yes. 22 Q. All three drafts? 23 A. For the bow, just change of about 20 centimetres. 24 Q. Right. Thank you. Then, "Conclusion": 25 "The bow of the port hull of Sea Smooth had hit the</p>	<p style="text-align: right;">Page 116</p> <p>1 the side panel on the port bow of Sea Smooth was torn 2 and detached." 3 Again, we are talking about -- no, "it was torn and 4 detached". 5 "As the tank room and the last compartment of 6 Lamma IV were separated by a non-watertight bulkhead, 7 the bottom part of the gash and the hole on Lamma IV 8 below the waterline caused rapid flooding of its three 9 aft compartments. When the stern of Lamma IV lost its 10 buoyancy, its stern started sinking with its bow tilting 11 up nearly vertically. 12 In the upper deck cabin of Lamma IV, rows of seats 13 were originally secured to the fibreboard deck by 14 screws. However, when the bow of Lamma IV was tilting 15 up, it would have taken the weight of only two or three 16 adult passengers, who might have been sitting on, 17 standing on and/or holding the row of seats to get 18 balance, to cause the seats to be broken off from its 19 mounts on the fibreboard deck as the fibreboard was not 20 strong enough to grip the mounting screws and yielded 21 under such pulling force. The upper deck cabin had only 22 an exit at the rear. Passengers losing balance and the 23 detached seats rolling to the rear end of the upper deck 24 cabin when Lamma IV sank vertically could have blocked 25 the only exit, rendering escape from the cabin</p>

<p style="text-align: right;">Page 117</p> <p>1 difficult.</p> <p>2 The sidelights and masthead light of Lamma IV were</p> <p>3 highly likely to have been lit before their housing was</p> <p>4 flooded and the glass bulbs were cracked by seawater."</p> <p>5 Could I pause here, just to get the matter</p> <p>6 crystal-clear, at least in my mind. The cracking</p> <p>7 occurred because the interior of the bulb was very hot,</p> <p>8 so when seawater, which is cold, same into contact with</p> <p>9 the outer surface of the bulb, the differential in</p> <p>10 temperature resulted in that cracking of the glass?</p> <p>11 A. Will cause to break, correct.</p> <p>12 Q. Because of the cracking of the glass, air went into the</p> <p>13 bulb and the oxygen in the air --</p> <p>14 A. Reacted with the filament.</p> <p>15 Q. -- reacted with the very hot tungsten?</p> <p>16 A. Correct.</p> <p>17 Q. Thank you. That's the sequence?</p> <p>18 A. Yes.</p> <p>19 Q. Thank you. Paragraph 6.6:</p> <p>20 "The damage to Sea Smooth was mainly confined to the</p> <p>21 port hull at the first two watertight compartments,</p> <p>22 which had been flooded. However, the watertight</p> <p>23 bulkheads of the intact compartments had prevented</p> <p>24 further flooding of the port hull. To assess the damage</p> <p>25 to the compartments of the vessel, crew members of Sea</p>	<p style="text-align: right;">Page 119</p> <p>1 Q. Thank you. Is there anything else that you wish to</p> <p>2 amend or correct in this report of yours?</p> <p>3 A. No.</p> <p>4 MR SHIEH: Thank you, Mr Chairman.</p> <p>5 Could you remain in the witness box, because some</p> <p>6 other counsel may have questions for now.</p> <p>7 A. Okay.</p> <p>8 THE CHAIRMAN: Mr Grossman?</p> <p>9 MR GROSSMAN: Mr Chairman, I'd like to ask questions, and</p> <p>10 let me say immediately very few, but on four areas. The</p> <p>11 first is on the wheelhouses of the Lamma IV and the Sea</p> <p>12 Smooth. The second is on the damage to the seats. The</p> <p>13 third is on the question of the life jackets. And</p> <p>14 fourthly, the damage to the Sea Smooth.</p> <p>15 THE CHAIRMAN: Yes, please do.</p> <p>16 MR GROSSMAN: Thank you very much.</p> <p>17 Examination by MR GROSSMAN</p> <p>18 MR GROSSMAN: Dr Cheng, I represent Hongkong Electric.</p> <p>19 I just have a few clarification questions to ask you.</p> <p>20 A. Okay.</p> <p>21 Q. First of all, I want to ask you about the wheelhouse of</p> <p>22 Lamma IV. I see you mention briefly the wheelhouse in</p> <p>23 your paragraph 3.5.1.</p> <p>24 A. Yes.</p> <p>25 Q. So I take it you visited the wheelhouse?</p>
<p style="text-align: right;">Page 118</p> <p>1 Smooth could have done so through the ten manholes in</p> <p>2 the main deck cabin.</p> <p>3 After Sea Smooth lost its first two compartments of</p> <p>4 the port hull, the vessel was tilting slightly downwards</p> <p>5 to the port side and the front, probably by about</p> <p>6 2.4 and 0.5 degrees respectively."</p> <p>7 Again, 0.5 degrees is a reference back to the table</p> <p>8 that we can find earlier on in your report at page 366,</p> <p>9 under the row "Gradient along the length: 0.5 degrees";</p> <p>10 correct?</p> <p>11 A. Here I think I need to make an amendment.</p> <p>12 Q. Right.</p> <p>13 A. The vessel should be tilting slightly downward to the</p> <p>14 front by about -- sorry, to the port side by about</p> <p>15 2.5 degrees.</p> <p>16 Q. 2.5?</p> <p>17 A. 2.5, yes, instead of 2.4.</p> <p>18 Q. Because that was with persons, not with --</p> <p>19 A. Yes, yes. Correct.</p> <p>20 This is the amendment I want to make.</p> <p>21 THE CHAIRMAN: Thank you.</p> <p>22 MR SHIEH: Thank you.</p> <p>23 Paragraph 6.7 now reads "about 2.5 degrees and</p> <p>24 0.5 degrees respectively"?</p> <p>25 A. Yes, confirmed.</p>	<p style="text-align: right;">Page 120</p> <p>1 A. Sorry?</p> <p>2 Q. I take it you went to the wheelhouse, did you?</p> <p>3 A. Yes.</p> <p>4 Q. Did you take any notes of the dials and their positions?</p> <p>5 A. No, I didn't.</p> <p>6 Q. Any notes of the position of the levers?</p> <p>7 A. No.</p> <p>8 Q. Any notes of the position of any of the switches?</p> <p>9 A. No.</p> <p>10 Q. And the rudder indicator?</p> <p>11 A. No.</p> <p>12 Q. No. Is there any particular reason why you didn't do</p> <p>13 that?</p> <p>14 A. Because this is not my expertise, and I do not know --</p> <p>15 I would not comment on these matters, so I did not make</p> <p>16 notes on that.</p> <p>17 Q. Very well. Did you go to the wheelhouse of the Sea</p> <p>18 Smooth?</p> <p>19 A. Yes, I did.</p> <p>20 Q. I wonder if you could help us on this matter, please.</p> <p>21 Would you have a look at police photo album I at</p> <p>22 page 30. Do you have it?</p> <p>23 A. Yes.</p> <p>24 Q. There's an item there.</p> <p>25 If we look to the left of the -- let me call this</p>

Page 121	Page 123
<p>1 the wheel. Further left. Just the other side of what 2 looks like -- just carry on to the left, please. More. 3 Just up a bit. 4 What is that item? Do you know what it is? 5 A. I don't know. 6 Q. All right. There's a better view of it, I think, at 7 page 115. Do you see it? 8 A. Yes, I see. 9 Q. What does it look like to you? 10 A. Just comment based on the photograph, you mean? 11 Q. Yes. 12 A. Something used for cooking. Looks like a pot. 13 Q. It's a rice cooker, is it? 14 A. Maybe. 15 Q. That's what it looks like, anyway. 16 A. Yes, it looks like it. 17 THE CHAIRMAN: Do we know when this photograph was taken? 18 MR GROSSMAN: Yes, we do. If you just give me a moment. 19 The one at page 30 was on 2 October. One can see that 20 on page 2. That's a list of the photographs. 21 THE CHAIRMAN: Thank you. And this one? 22 MR GROSSMAN: It seems to be the same one, but enlarged. 23 I'm sorry, that was taken on the 3rd, I think it 24 was. That was taken on 3 October. We see that on 25 page 60.</p>	<p>1 THE CHAIRMAN: Thank you. 2 MR GROSSMAN: Yes, thank you. 3 I want to ask you now a few questions about the 4 seats. You've told us about the experiments that you 5 did -- 6 A. Yes. 7 Q. -- about the weight that would be needed to dislodge the 8 seats. 9 When you were doing your calculations, did you take 10 into account the impact of the Sea Smooth on Lamma IV? 11 Perhaps I can explain it like this. You've got a vessel 12 travelling at, say, 20 knots. It weighs, say, 13 200 tonnes. When it hits, and it hit very hard, the 14 Lamma IV, the energy -- and excuse me for not using pure 15 scientific terms -- would be pushed forward, 16 wouldn't it? 17 A. Yes, agree. 18 Q. Do you take that into account in assessing how quickly 19 the seats may have been dislodged? 20 THE CHAIRMAN: I don't think he gave an estimate of time; he 21 gave an estimate of force required. 22 MR GROSSMAN: Of force, yes. 23 Let me put it this way. I understand, of course, 24 there was no comment on the exercises that you did, but 25 isn't it rather artificial, with respect, when you bear</p>
Page 122	Page 124
<p>1 THE CHAIRMAN: Thank you. 2 MR GROSSMAN: Did you notice this rice cooker when you were 3 there? Dr Cheng, did you notice the rice cooker when 4 you went aboard the Sea Smooth? 5 A. Just give me one minute. Which photograph are you 6 referring to? 7 THE CHAIRMAN: Perhaps we could put it up again. Page 115, 8 isn't it? 9 MR GROSSMAN: Yes, that's the one. Thank you. 10 A. Oh, this one. Okay. I did go to the wheelhouse of Sea 11 Smooth to make some records, but at that time I did not 12 do any examination on what I will call this dashboard. 13 So my opinion now is just a layman, just from this 14 photograph. 15 THE CHAIRMAN: Yes. 16 A. This is not related to my expertise. It really looks 17 like a rice cooker. 18 THE CHAIRMAN: Yes. The question is, did you notice it at 19 the time you were in the wheelhouse? 20 A. No, no. Because I did not make -- I've said that I just 21 want to check the overall layout of the wheelhouse. So 22 what I am concerned is that -- is the window clear, what 23 is the overall situation over there. So I just make 24 a simple note, and I wasn't aware of the things on the 25 dashboard.</p>	<p>1 in mind the fact that the Lamma IV was struck at, say, 2 20 knots by a 200-tonne vessel? 3 A. First of all, my experiment was conducted just to 4 illustrate how much force was needed to detach a seat. 5 It is not related to the situation during a collision. 6 So just -- if your question is asking me whether, 7 when these two vessels collided and have the force, 8 let's say the passenger leaned backwards, to cause the 9 detachment of their seat, my opinion is that when 10 somebody properly sits on the seat, on the chair, just 11 like the chair here, the chair now I'm sitting on, when 12 I attempt to lean backwards (demonstrates), we won't 13 expect we will topple. I apply a force backwards, 14 right? But why? It's because when we sit on the chair, 15 there are two forces. First, the force is my body 16 weight. My body weight will press the chair firmly 17 towards the ground. When I lean backwards, part of my 18 body weight will transfer to the back of the seat. So 19 whether the seat will topple depends on which force is 20 larger. In normal situation, when I properly sit on the 21 seat and I lean backward, this force will not be large 22 enough to topple me, even now the chair I am sitting on 23 is not affixed to the floor, right. 24 So in our situation, I think if at the time of 25 collision, the force generated may be offset by the body</p>

<p style="text-align: right;">Page 125</p> <p>1 weight of the passenger who sat on the chair and pressed 2 it firmly against the floor so the force -- even the 3 passenger will jerk backwards, the force will not be 4 strong enough to detach the seat. 5 This is my opinion. 6 Q. But the force of the impact itself, as a matter of 7 commonsense more than anything else, would have 8 an effect on the attachment of the sheets to the deck, 9 would it not? 10 A. I think it will have some impact, some influence on 11 the -- how do you say? -- generation of force. But 12 whether the force strong enough. But I have said that 13 this -- because when the person sits properly on the 14 floor, their body weight is quite high. The force 15 generated backwards should be larger than the body 16 weight, otherwise it's quite difficult to detach the 17 seat. 18 Q. Yes. 19 A. So it includes a lot of calculations, how fast the -- it 20 depends on how fast Lamma IV at that time was travelling 21 forward. Also the rate -- I need to use a technical 22 term -- the deceleration rate, just like when we are 23 seated on a race car, when we accelerate we will 24 generate a force backward. 25 So it depends on how fast Lamma IV was travelling</p>	<p style="text-align: right;">Page 127</p> <p>1 Would the collision have a huge impact on the 2 integrity of the attachment of the seats to the upper 3 deck? That's the first question. 4 A. My opinion is that it won't -- I think the collision is 5 quite difficult to cause the detachment of the seat. 6 THE CHAIRMAN: The second question, Mr Grossman? 7 MR GROSSMAN: The second question: as we know, the vessel 8 started going vertical very quickly indeed, and 9 presumably seats would start to fall back and people 10 would start to fall back, this too would have an effect 11 on the speed at which the seats behind became detached, 12 would it not? 13 A. Yes, agree. 14 Q. And these things aren't quantifiable, really, are they? 15 A. What do you mean of how to quantify? 16 Q. Well, you can't say, for instance, a seat would take 17 exactly 3 or 4 seconds to detach. 18 A. You mean the timing? 19 Q. Yes. 20 A. Yes, difficult to quantify. It's just the force which, 21 let's say -- what I have written in my conclusion is 22 when the force of about the body weight of two to three 23 adults, then this force will be enough to detach a seat. 24 It depends on how many legs that row of seats has. 25 If just a total of four legs, then from my</p>
<p style="text-align: right;">Page 126</p> <p>1 forward and then stopped due to the collision. So this 2 is quite a lot of variables. But I think it depends on 3 how -- in this case, I don't have any information to 4 support how far is the deceleration. So it's quite 5 difficult to calculate the force it will generate. 6 But just a rough estimation is that if the force 7 generated is near 1G -- 1G is that where the downward 8 force is -- G is the gravitational acceleration, that is 9 the body weight generated when I sit on the chair. And 10 when the force towards the back is 1G, then balance -- 11 more than 1G, then it will create a force to the 12 backward. 13 So it includes a lot of calculations, and I cannot 14 exactly answer this question. But from my opinion, it's 15 quite difficult to generate a force more than 1G. 16 Q. I think I understand. Thank you. I'm really not asking 17 you to do the calculations; I'm just trying to see what 18 the factors were in causing the seats to come loose. 19 I think you agree with me that one of the factors would 20 be the impact. And secondly, as we -- or you may not 21 know, the vessel started to tilt very quickly and in 22 fact in round about, say, 90 to 100 seconds, it was 23 almost vertical. Those factors would have a huge 24 impact, would they not? 25 THE CHAIRMAN: They're two different factors.</p>	<p style="text-align: right;">Page 128</p> <p>1 calculation, from my experiment, it should indicate that 2 about two adults will be sufficient to detach a seat. 3 If that row of seats had about six legs, that means one 4 more pair, then it needs the body weight of about three 5 adults, then the -- if that force is achieved, then the 6 seat will detach. But I cannot comment on what is the 7 timing. But I think at least when it started tilting 8 up, the force generated would not be high enough. 9 I think it maybe happens at a later stage, let's say 10 maybe, just a rough estimation, 60 degrees or 11 70 degrees, I mean upwards. 12 Q. But of course -- 13 A. At that time, I think the force will be sufficient to 14 detach the seat from the deck. 15 Q. Yes. But, of course, here we had also the unhappy 16 situation of people obviously falling backwards and thus 17 creating a lot of pressure on the seats; you're aware of 18 that? 19 A. Yes. 20 Q. Thank you. I just want to ask you, in this regard, 21 about one point you mentioned. This is page 28, for 22 your reference. 23 You said that the rivets were not strong enough for 24 this kind of purpose. What did you mean? What kind of 25 purpose?</p>

<p style="text-align: right;">Page 129</p> <p>1 THE CHAIRMAN: Page 28 of what? 2 MR GROSSMAN: Page 28 of today's hearing. 3 THE CHAIRMAN: The transcript? 4 A. Because from my understanding, for rivet, when used to 5 affix something, it cannot be used to indicate -- to 6 affix the chair on the deck, and because I know that for 7 this kind of material, it will weaken over time, because 8 just like the window, the Government will tell citizens, 9 "You need to routinely check the window", because the 10 window -- we understand that we use the rivet to fix the 11 windowframe to the wall. So over time, when there's 12 water coming in and also the rivets made of aluminium 13 will start to weaken, then this kind of material will 14 deteriorate over time and will easily damage when there 15 is a great force. 16 But when we compare a rivet to a screw, screw made 17 of steel, it can last much, much longer and will not 18 corrode easily. 19 So that's why my opinion is that it is much proper 20 to use a steel screw rather than rivet to affix the 21 chair, because we suppose the chair will be firmly 22 affixed to the chair. Unless you expect you need to 23 change this rivet periodically, let's say maybe you 24 change it maybe -- let's say five years, you change it 25 once, it may be acceptable. But that's just my opinion.</p>	<p style="text-align: right;">Page 131</p> <p>1 use the term "white plastic bag", but it's more for 2 people to visualise how strong is this plastic bag. 3 It's really quite soft. That's why I will agree that it 4 is quite easy to tear it apart. Even I did not even 5 need to unknot the knot. 6 Q. So you're prepared now to make your statement perhaps 7 a little more accurate and say it was a white plastic 8 bag? 9 A. Okay, yes. 10 Q. You've told us that you couldn't see any life jackets on 11 the upper deck of the Lamma IV? 12 THE CHAIRMAN: I think he was talking about the weather 13 deck. 14 A. Weather deck. Should be weather deck. 15 MR GROSSMAN: I'm sorry, weather deck. 16 Do you see any on the Sea Smooth? Perhaps I can 17 help you. Would you look at -- 18 A. I did not make a detailed examination on Sea Smooth. 19 Q. Pardon? 20 A. I did not make a detailed examination of the life 21 jackets on Sea Smooth -- 22 Q. Very well. 23 A. -- so I have no record. 24 Q. Now, I want to ask you, finally, something about the 25 damage to the Sea Smooth. Would you look, please, at</p>
<p style="text-align: right;">Page 130</p> <p>1 Q. Yes. What I'd understood you to mean, and please tell 2 me if I'm wrong, is that the rivets weren't strong 3 enough to withstand the pressures that happened in the 4 accident. 5 A. I did not measure the force, but I know that this 6 material will corrode over time. And the fact is that 7 we found a rivet snapped on board, but I did not find 8 any steel screw broken into two pieces. Although we 9 find from the police bundle, I can see a photo that 10 shows that there is a steel screw with the head 11 deformed. That is, it's strong enough that even if it 12 starts to yield, bend, it won't snap into two pieces. 13 Q. Let me ask you now about the life jackets. 14 A. Okay. 15 Q. You said you found them in garbage bags. 16 A. Yes. 17 Q. That's rubbish, isn't it? They weren't garbage bags; 18 they were white plastic bags. It's simply nonsense to 19 call them "garbage bags". Do you agree with me? 20 THE CHAIRMAN: I'm not sure what you put your garbage in, 21 Mr Grossman, but that's what I put mine in. 22 MR GROSSMAN: They're not garbage bags, are they? 23 A. Maybe I used a term that's not appropriate, but they do 24 really resemble the garbage bags I use at my home. 25 That's why I use this term. I agree it may be better to</p>	<p style="text-align: right;">Page 132</p> <p>1 police bundle N(I) at page 3616. 2 Could we zoom in, please. If we could just scroll 3 down, please. Thank you. 4 You see on this plan here the letters "WT MH", which 5 presumably means "watertight manhole"? 6 THE CHAIRMAN: Whereabouts? 7 MR GROSSMAN: One can see them near the centreline. Where 8 there are circles between the seats. 9 THE CHAIRMAN: Which deck are we looking at? 10 That's off to the right. 11 MR GROSSMAN: This is the main deck. 12 THE CHAIRMAN: Thank you. 13 MR GROSSMAN: Well, there are 10. We don't have to count 14 them. 15 Did you examine each of these? There are 12. 16 A. Yes, I have asked a crew member to open all these 17 manholes for me to examine the underdeck compartment. 18 Q. Were they sealed? 19 A. I did not find any seal. 20 THE CHAIRMAN: By that you mean rubber seal? 21 A. Yes, the rubber seal. Because from my -- I used my 22 scientific mind. For me, if it did need a very 23 stringent sealing, make sure that even if we apply some 24 pressure on the -- for example, we fill the underdeck 25 compartment with water and even increase the pressure,</p>

<p style="text-align: right;">Page 133</p> <p>1 the water won't come into the main deck if it has the 2 rubber seal. So this is why my opinion that it is not 3 watertight. But I agree that maybe this "WT" may be 4 referring to a watertight manhole. But just I use 5 a different level of standard. 6 MR GROSSMAN: All right. Anyway, I'm told that the rubber 7 seal is on the inside, but -- 8 MR SUSSEX: No, it's on the inside of the cover. 9 MR GROSSMAN: Yes, on the inside of the cover, but somebody 10 else will deal with that. 11 What I want to ask you about is your paragraph 5.13, 12 if you would have a look at that, please. 13 What you say here, in the last sentence, "It would 14 take a crew member", by which I suppose you mean one -- 15 A. Yes. 16 Q. -- "about 5 minutes to check all the first 17 10 compartments for any damage or leakage." 18 A. Yes. 19 Q. So doing very simple arithmetic, if there's more than 20 one person doing it, it could have been finished in 21 a couple of minutes? 22 A. Correct. 23 Q. All right. And in that couple of minutes it would have 24 been perfectly obvious, would it not, to anybody 25 looking, that the vessel with which it had collided was</p>	<p style="text-align: right;">Page 135</p> <p>1 A. Lamma IV? 2 THE CHAIRMAN: Lamma IV. 3 MR GROSSMAN: Sorry, Lamma IV is becoming vertical. Was 4 there any reason connected, say, with the integrity of 5 the Sea Smooth that would prevent it stopping? 6 A. I have no comment on this. This is not related to 7 forensic science. 8 Q. Can you think of any forensic reason why it couldn't 9 then stop? 10 A. If I answer you this, I answer you as a layman, not 11 an expert. 12 THE CHAIRMAN: No. There's no need to do that. 13 MR GROSSMAN: We don't want you to -- 14 THE CHAIRMAN: If this is outside of your expertise, feel 15 free to say so. 16 A. It is outside of my expertise. 17 THE CHAIRMAN: Thank you. 18 MR GROSSMAN: No further questions. Thank you. 19 THE CHAIRMAN: Yes, Mr Sussex? 20 MR SUSSEX: Mr Chairman, with your permission I'd like to 21 ask this witness about his examination of the bulbs in 22 the navigation lights, and I'd also like to put to him 23 a photograph taken over lunchtime of the inside of 24 a manhole cover on the Sea Smooth. That's currently 25 being photocopied.</p>
<p style="text-align: right;">Page 134</p> <p>1 very rapidly becoming vertical. 2 THE CHAIRMAN: I don't think this witness is in any position 3 to deal with the time with which Lamma IV sank. 4 MR GROSSMAN: I'm just telling him. I don't think there's 5 any dispute about that. It's more or less 90 seconds. 6 THE CHAIRMAN: Perhaps you'd get to the point that you're 7 seeking to establish. 8 MR GROSSMAN: The Lamma IV sank in roughly -- it's not 9 exact -- 100 seconds. I'm sorry, it came vertical 10 within about 100 seconds. From your point of view, and 11 I ask you from a forensic point of view, was there any 12 reason why the Sea Smooth could not stop and pick up 13 passengers in the sea? 14 THE CHAIRMAN: Well, that's a very wide question. Any 15 reason arising from the integrity of the Sea Smooth? Is 16 that what you mean? 17 MR GROSSMAN: Thank you. That's a better way of putting it. 18 Thank you, Mr Chairman. 19 A. Can you repeat your question? 20 Q. Yes. From your point of view -- make the following 21 assumptions: the damage could have been assessed 22 quickly, within a couple of minutes. 23 A. Yes. 24 Q. During that couple of minutes, during that period, the 25 Sea Smooth is becoming vertical --</p>	<p style="text-align: right;">Page 136</p> <p>1 THE CHAIRMAN: Yes. Are there any photographs that 2 illustrate the same thing that were taken closer to the 3 time of the incident? 4 MR SUSSEX: Not that we've so far been able to turn up. 5 THE CHAIRMAN: Very well. Please proceed. 6 Examination by MR SUSSEX 7 MR SUSSEX: Dr Cheng, in your report, and I'd just like to 8 take you to three passages in your report, at 9 paragraph 4.9.1 you give the results of your examination 10 of the glass bulbs which had come from the Lamma IV. So 11 not the control light bulb, but the port light, the 12 starboard light and the masthead light. 13 A. Yes. 14 Q. You've said: 15 "The glass bulbs and the filaments of the red light, 16 the green light and the masthead light were all found 17 broken. Numerous white/black powders were found 18 deposited on the inner side of the glass bulbs and the 19 contact wires. These findings, together with the scene 20 observation that water was found inside their respective 21 housings, indicate that the filaments of the light bulbs 22 could have been illuminated when the glass bulbs were 23 cracked probably due to water ingress into the housings 24 of these navigation lights." 25 So do I take it that your conclusion there, that</p>

<p style="text-align: right;">Page 137</p> <p>1 they "could have been illuminated", included your 2 evaluation of what the powders were that you had 3 observed? 4 A. In the conclusion? 5 Q. You say that they "could have been illuminated", and 6 that is based on the fact that they were broken, that 7 numerous white/black powders were found deposited on the 8 inside of the glass bulbs and the contact wires, and 9 then you also add that with your scene observation that 10 the water was found in the housings of the various 11 lights and you say they "could have been illuminated". 12 A. Yes, agree. 13 Q. Right. Then if we go to paragraph 5.9: 14 "The bulbs of the two sidelights and the masthead 15 light of Lamma IV all could have been on before their 16 glass bulbs were cracked ..." 17 Then you give an explanation for the cracking: 18 "... probably due to rapid cooling of the hot glass 19 bulbs by water ingress." 20 A. Yes. 21 Q. So again you use the phrase "could have been on"? 22 A. Yes, agree. 23 Q. Then in your final conclusion at paragraph 6.5, you say: 24 "The sidelights and masthead light of Lamma IV were 25 highly likely to have been lit before their housing was</p>	<p style="text-align: right;">Page 139</p> <p>1 likely". This is the foundation why I changed the 2 wording. 3 Q. It's right, isn't it, that the filament of most light 4 bulbs is made of tungsten, because the melting point of 5 tungsten is high enough to withstand the intense heat 6 produced in an incandescent light bulb? 7 A. Sorry? 8 THE CHAIRMAN: The first question is are most filaments in 9 incandescent light bulbs made of tungsten? 10 A. Yes. 11 MR SUSSEX: The reason for that is that tungsten has a very 12 high melting point; is that right? 13 A. Correct. 14 Q. And that melting point is high enough to withstand the 15 intense heat produced in an incandescent light bulb? 16 A. Correct. 17 Q. But tungsten has a disadvantage in that it oxidises at 18 a much lower temperature than the temperature produced 19 when an electric filament is turned on; is that not 20 right? 21 A. Can you repeat? 22 Q. Tungsten has a disadvantage in that it oxidises when it 23 comes into contact with air -- that's right, isn't it? 24 A. Unless it is hot. 25 Q. Wait a minute. Light bulbs are generally an inert</p>
<p style="text-align: right;">Page 138</p> <p>1 flooded and the glass bulbs were cracked by seawater." 2 You haven't shared with us the process of reasoning 3 by which you have moved from a conclusion that these 4 "could have been illuminated", to a conclusion that it 5 was "highly likely" that they were lit. 6 A. Okay. First of all, the conclusion -- my results in 7 paragraph 4.9 are just based on the laboratory 8 examination result alone, without considering any other 9 information. So I used the wording "could have". 10 And then go to the analysis. Also, I just 11 considered only the laboratory result and also the 12 finding of the water in the housing. But in the 13 conclusion, because I consider everything together, 14 including the scene examination, including what 15 I proposed that Lamma IV started to sink vertically, 16 then I will foresee the sidelight, the housing, will 17 come into contact with water. So this strengthened 18 where did the water come from? It will not come from, 19 for example, raining, or water coming inside the 20 housing. So when I take into consideration that, 21 I decided it could have come into contact with the 22 seawater, and also I observed water ingress in the 23 housing. This further strengthened my laboratory 24 findings, so I used a wording much stronger. Then 25 I will change the wording from "could have" to "highly</p>	<p style="text-align: right;">Page 140</p> <p>1 atmosphere. The inside of a light bulb is an inert 2 atmosphere, is it not? 3 A. Yes, most in vacuum or some inert gas will fill the 4 glass bulb. 5 Q. That's right, and it's usually a mixture of argon and 6 nitrogen, is it not? 7 A. Yes, sometimes. 8 Q. But it's right, is it not, that the oxidation of 9 tungsten occurs at a much lower temperature, it starts 10 to occur at a much lower temperature, than that which is 11 the temperature produced when an electric filament is 12 on? Do you know that or not? If you don't know, say 13 so. 14 A. If there's no oxygen inside the glass, but when it's 15 turned on, there will be no oxidation. 16 Q. That's not the question. The question is the 17 temperature at which the oxidation of tungsten first 18 begins to occur. Do you happen to know when the 19 oxidation of tungsten begins to occur? 20 A. I do not exactly remember at what temperature the 21 oxidation will happen. 22 Q. It's right, is it not, that when the filament of a light 23 bulb comes into contact with oxygen, that filament is 24 converted into an oxide? 25 A. Yes.</p>

Page 141	Page 143
<p>1 Q. It's right also, is it not, that that oxide is 2 a yellowish colour? 3 A. It has a range of colours. Sometimes it will appear 4 yellow, and mostly white. 5 Q. But we're talking, are we not, about WO₃? 6 A. Yes. 7 Q. Right. Because the atomic symbol for tungsten is W? 8 A. It's W, correct. 9 Q. Tungsten oxide is WO₃. Now, it's right also, is it not, 10 that the filament of a light bulb cools down very 11 quickly once the electric source, electricity source, is 12 withdrawn? 13 A. Correct. 14 Q. It's also right, is it not, that when a heated tungsten 15 light bulb comes into contact with air, the oxidation 16 occurs within seconds? 17 A. Correct. 18 Q. Something like two seconds, and the filament is 19 converted into tungsten oxide. 20 THE CHAIRMAN: Do you agree with the first part of the 21 question -- 22 A. Agree, agree. 23 THE CHAIRMAN: -- that it happens in about two seconds? 24 A. Two seconds, I don't agree with this one. Almost 25 immediately. I don't -- it depends on numerous factors.</p>	<p>1 from the engine room. Right? 2 Could I take you to the FS bundle at page 652. This 3 is a depiction of the state of the vessel at 20:41 hours 4 on 1 October. We see that at that stage, the engine 5 room is totally submerged. 6 A. Yes. 7 Q. But the navigation lights, the ones you examined, are 8 still above water. 9 A. Yes. 10 Q. Now, it's likely, is it not, that when the power source 11 of the navigation lights went below water, the power 12 would have been extinguished? 13 A. Correct, if it is the only power source. 14 Q. We can then move on to page 653 -- 15 THE CHAIRMAN: Do we know anything about the power sources 16 Mr Shieh? 17 MR SUSSEX: That's what I'm trying to find out. 18 THE CHAIRMAN: For example, where the batteries were kept, 19 where the emergency power supply came from? 20 MR SHIEH: We will look into that. 21 MR SUSSEX: Such information as I have at the moment is that 22 there was a battery supplying the -- a reserve battery 23 supplying the navigation lights, but it was in the 24 engine room. 25 If we move on to page 653, we see the position of</p>
Page 142	Page 144
<p>1 Once oxygen comes in, the oxidation will start. When 2 the heat is not hot enough, then the oxidation will 3 stop. So it's quite difficult to say how much the 4 timing. But two seconds, I did not heard of this one, 5 the oxidation will complete within two seconds. It will 6 happen, just -- 7 MR SUSSEX: But it happens very quickly, doesn't it? 8 A. Very quick, very quick. 9 THE CHAIRMAN: The expression you used was "almost 10 immediately". 11 A. Yes, correct. 12 MR SUSSEX: It's right, is it not, that a light bulb which 13 is turned off will rapidly cool, and if thereafter 14 broken, oxidation won't occur? 15 A. Correct. 16 Q. Right. It's right also, is it not, that the light bulbs 17 that we're talking about on the Lamma IV were powered by 18 electricity? 19 A. Yes. 20 Q. And the source of that electricity was within the 21 machinery space on board the Lamma IV? 22 A. I don't know where the power source coming. 23 Q. You don't know where the power was coming from? 24 A. I just know it's powered from electricity, yes. 25 Q. Let us assume for a moment that the power was coming</p>	<p>1 the vessel as at 21:03 hours, so some 20 minutes later. 2 A. Yes. 3 THE CHAIRMAN: I think to help you, Dr Cheng, we ought to 4 say this. This is the best attempt that -- I think 5 these were firemen? Fire officers were trying to 6 collate the information to help the Inquiry. This is 7 not intended to be a scientific calculation. 8 A. Okay, I understand. 9 THE CHAIRMAN: So just take that on board. 10 MR SUSSEX: But as at 21:03 hours, we still see the 11 navigation lights on the port and starboard sides of the 12 vessel above the water. 13 A. Yes, but this is just referring to a sea that is calm. 14 Q. Referring to? 15 A. If there are some waves, maybe water will reach the side 16 lamp. 17 Q. I accept that is a possibility. 18 A. Just from this photo, I agree that the sidelight is 19 above the sea. 20 Q. But it does appear to be the case that the engine room 21 was breached and the engine room was rapidly flooded and 22 totally submerged before the port and starboard 23 navigation lights went underwater. 24 Would you agree that if the submersion of the engine 25 room had the effect of cutting off the electricity</p>

<p style="text-align: right;">Page 145</p> <p>1 supply, it is probable that there would be sufficient 2 time for the navigation lights to cool down such that 3 there would not be oxidation such as you describe? 4 A. Yes, I've said that I agree with you if this is the only 5 power source. 6 Q. Right. 7 A. I have answered you. 8 Q. Could we just look at the photographs that you have 9 produced of your laboratory examination. I think they 10 now appear at page 398-4. That's the port light. Is it 11 right that this examination was conducted on 15 November 12 2012? 13 A. Yes. 14 Q. It's right also, isn't it, that these bulbs for 15 examination entered your laboratory on 19 October 2012? 16 I think we see that from paragraph 4.7. 17 A. Yes. 18 Q. Would it be right to say that you don't know what 19 anybody was doing with those lights, whether they were 20 being switched on or used, between the time that the 21 Lamma IV was raised and the time that you examined the 22 lights in your laboratory? 23 A. The first time I examined this light should be on -- let 24 me see. Mr Chairman, I need to refer to my notes. 25 I want to confirm which date, should be 15th or 18th.</p>	<p style="text-align: right;">Page 147</p> <p>1 broken, and then somebody turned on the light, because 2 the heat is quite localised, then the oxide will 3 immediately form on the surface of the coil filament. 4 But for this case, because I found tungsten oxide in 5 other areas, on the two metal stands holding the 6 filament, then this supports that the glass bulb was 7 still intact, because when it worked with the glass 8 bulb -- when the filament was under heating inside the 9 glass bulb, the tungsten will, because of high 10 temperature, vaporise inside the glass bulb. So when 11 the glass bulb is cracked, some oxide inside the glass 12 bulb will immediately react with the oxygen and deposit 13 on the other part of the broken glass. 14 So for this case, I observe some tungsten oxide in 15 area other than the coil filament, my opinion is that 16 this filament was turned on before the glass bulb was 17 broken, instead of the situation just raised. 18 Q. But it is right, isn't it, that if, for example, you 19 manage to break a glass bulb without breaking the 20 filament, and you then turn a light bulb on, the 21 filament will immediately react with oxygen in the air 22 and the filament will become tungsten oxide? 23 A. Yes, I have, but and also, for this case, I don't think 24 the filament will snap and missing. I don't agree this 25 situation. It's quite impossible that the glass bulb</p>
<p style="text-align: right;">Page 146</p> <p>1 THE CHAIRMAN: Yes. 2 A. This is the first time I take a record of these 3 sidelights. 4 THE CHAIRMAN: Yes, please refer to your contemporaneous 5 notes. 6 A. I examined these two sidelights on 15 October. At that 7 time I observed that the glass bulb already snapped, and 8 there's no big differences between the glass bulb when 9 it was delivered to our laboratory. 10 Before 15 October, Lamma IV was cordoned off and 11 protected by police at the dockyard. 12 MR SUSSEX: Right. But if, for example, someone had turned 13 a bulb on with a broken glass, in the period from the 14 raising of the Lamma IV to the time when you examined 15 the bulbs, there would have been immediate oxidation of 16 the tungsten filament, wouldn't there? 17 A. It will have -- I am not sure whether it can be turned 18 on after the glass bulb has broken. 19 But in this situation, the tungsten oxide will 20 mainly found on the filament, the filament, the coil 21 filament. But for this case, we can find the 22 filament -- sorry, the tungsten oxide, the white oxide 23 could be observed on the -- this is called -- for 24 example, the two metal wires holding the filament. Why? 25 Because there is a difference. If the glass bulb was</p>	<p style="text-align: right;">Page 148</p> <p>1 was broken and somebody turned on the power, resulting 2 in the observation similar to one that I noted. And it 3 is impossible. 4 THE CHAIRMAN: Just let me understand that. 5 Another factor you take into account in forming your 6 opinion is that you don't think the filament would have 7 snapped if the bulb was broken when the bulb was turned 8 on? 9 A. Yes. 10 THE CHAIRMAN: You don't think it would have snapped? 11 A. Yes. 12 THE CHAIRMAN: Thank you. 13 MR SUSSEX: But subsequently, those bulbs were removed and 14 brought to your laboratory? 15 A. Yes. 16 Q. So it's possible, is it not, that the filament might 17 have broken during that transit? 18 A. It might be, but I have said that before they deliver or 19 remove from the light housing, I have make a preliminary 20 examination of the glass bulb and I have made record of 21 this. So before I do an examination in the laboratory, 22 I find the situation of the glass bulb was quite similar 23 to one that I examined at the scene. 24 Q. Could we go then to your page 398-4. It's your 25 examination worksheet in relation to the port side</p>

Page 149	Page 151
<p>1 navigation light bulb, or the filament of the port side 2 navigation light bulb. 3 THE CHAIRMAN: The photograph? 4 MR SUSSEX: Yes, it's the photograph. It's described as 5 an examination worksheet. 6 THE CHAIRMAN: Yes. Thank you. 7 MR SUSSEX: If I understood your evidence correctly, what we 8 see at the top and the bottom are two sides of a broken 9 filament; is that right? Two parts of a broken 10 filament? 11 A. Yes. 12 Q. You did not test what you describe as the powder to see 13 whether it was in fact tungsten oxide, did you? I think 14 you've said this already. 15 A. Yes, I did not. 16 Q. You didn't test that. Now, what metal is holding the 17 filament in the picture at the top and bottom? Did you 18 ascertain what particular metal that was that was 19 holding the filament? 20 A. Usually some steel. I'm sure it will not be tungsten. 21 Q. Right, it's not tungsten. And it's not a metal which 22 reacts with air to produce tungsten oxide or any other 23 white powder, is it? 24 A. Yes. 25 Q. So why is it in the photograph that this white powder is</p>	<p>1 Q. Well, deposit. But it's just as likely to fall off, is 2 it not? 3 A. Yes. 4 Q. It's right, isn't it, that these filaments that you show 5 in your photographs had been submerged for some time in 6 salt water? 7 A. Yes. Yes, that's why we saw some rusting on some parts, 8 just like on page 398-3. 9 Q. Would I be right that when you have, in the conduct of 10 your professional duties, examined bulb filaments to see 11 whether they were illuminated before their glass 12 enclosure was cracked, you were doing so in the context 13 of a collision on land? 14 A. Collision on land? 15 Q. On land, land collision. 16 A. Yes. 17 Q. And you weren't concerned with the complication of 18 submersion in salt water? 19 A. There will be no difference on land or submerged in 20 water. 21 Q. Well, did it occur to you to test whether the white 22 deposit was salt crystals? 23 A. If it is salt, it won't selectively deposit on the 24 filament. I would expect everywhere of the broken glass 25 bulb will find this kind of salt. So I'm pretty sure</p>
Page 150	Page 152
<p>1 attaching so enthusiastically to metal which is not 2 tungsten? 3 A. I have just explained that. Because when the light bulb 4 was turned on with the glass bulb intact, and because of 5 the high operation temperature of the filament, some 6 tungsten will vaporise. Vaporise, that means some of 7 the tungsten will become air, fill up the glass bulb. 8 So when the glass bulb was broken and the air came in, 9 then the tungsten in the air will react with the oxygen 10 to form tungsten oxide. Then this tungsten oxide, 11 because it is a solid, then it will find some place 12 which is cool to deposit on it. For this metal bar, it 13 is a good surface for tungsten oxide to deposit on it. 14 That's why even if this metal stand is not tungsten, we 15 can find some tungsten oxide on it, because it's 16 a deposit from the air. 17 Q. But when tungsten oxide is dry, it doesn't adhere to 18 a metal, does it? 19 A. Sorry? 20 Q. When tungsten oxide is dry, it does not adhere to other 21 metals, it doesn't stick to other metals? 22 A. What do you mean, "stick"? 23 Q. Well, stick. It's not sticky. It doesn't stick to 24 a metal. 25 A. I would use the term "deposit" on the metal.</p>	<p>1 this is not the salt from the sea. 2 Just like the photo now, we saw on page 398, we saw 3 the base of the stand, the brown part -- yes, the cursor 4 is pointing at it. If this is salt from the seawater, 5 I will suppose that some white particle will deposit on 6 this area. But the fact is that most of the white 7 powder was deposited on the filament. So the 8 possibility that the white powder is salt from seawater, 9 is excluded. 10 Q. Well, I'm concerned really only with the red and green 11 light. Is it not right that the deposit is pretty 12 extensively shown on your photograph at page 398-4? 13 A. Yes, agree. 14 Q. But it's right, is it, that it did not occur to you to 15 test whether that deposit was salt? 16 A. The formation of tungsten oxide depends on numerous 17 factors. Just like -- he has raised that some tungsten 18 oxide will appear yellow. Some tungsten oxide appears 19 white powder. It depends on a lot of factors. How much 20 oxygen coming inside, how far is the reaction, what is 21 the temperature? A lot of variables. So it's quite 22 difficult to correlate the amount of white powder. It 23 just depends on whether white powder was observed or 24 not. 25 Q. But don't you think that in the circumstances of this</p>

<p style="text-align: right;">Page 153</p> <p>1 case, where there was the additional complication that 2 these light bulbs had been submerged in salt water, it 3 would have been sensible to test the white powder? 4 A. My opinion is that for my experience in examination of 5 this glass bulb, my previous experience told me that 6 this is exactly tungsten oxide. And also, I just -- 7 I need to further explain that my conclusion drawn is 8 not just based on the presence of white powder; it 9 includes the cracking of the glass bulb inside an intact 10 housing. These two informations combined together give 11 me a conclusion that water ingressed into a hot glass 12 bulb. 13 THE CHAIRMAN: How long would it take you to perform a test 14 to establish that it is tungsten oxide? 15 A. Just take a few days. Just one or two days. Depends on 16 the availability of the machine. 17 THE CHAIRMAN: Thank you. 18 MR SUSSEX: Could we then discuss the cracking. If we go to 19 police photo album V, starting at page 306 we see 20 photographs taken on 15 October 2012 of the port and 21 starboard navigation lights. 22 A. Yes. 23 Q. If we go, for example, to page 311, we see that the 24 light involves a casing, or housing, as you call it, the 25 light --</p>	<p style="text-align: right;">Page 155</p> <p>1 light is illuminated, if you look at that picture? 2 A. Just looking at the picture? 3 Q. Yes. 4 A. It's not illuminated. 5 Q. These casings are intended to withstand ordinary weather 6 conditions, are they not, and to be, to all intents and 7 purposes, waterproof? 8 A. I agree. 9 Q. Right. So that when they become submerged, the pressure 10 upon the bulb within is not just water all around; it's 11 water coming in from some source in the casing. Is that 12 right? 13 A. Yes. 14 Q. And that water could present itself in the form of 15 a jet, could it not? 16 A. What do you mean, "of a jet"? 17 Q. Well, if water is coming through a confined space, the 18 pressure that comes through the hole is likely to be 19 greater than the water pressure surrounding the casing. 20 If I put my thumb over a hose, I increase the water 21 pressure, don't I -- 22 A. Mm'hm. 23 Q. -- by confining the space through which the water is 24 able to travel? 25 A. Yes.</p>
<p style="text-align: right;">Page 154</p> <p>1 A. Okay, casing or housing. Never mind. 2 Q. Right. On the top, there is a watertight access cap, is 3 there not? 4 A. Yes. 5 Q. That access cap can be opened and raised for re-bulbing 6 and cleaning? 7 A. Yes. 8 Q. Yes. The light itself, as we see from page 306, is 9 a clear light bulb? 10 A. Yes. 11 Q. And the colour is achieved by either glass or plastic -- 12 do you happen to know what it was? -- within the casing 13 that surrounds the bulb. 14 A. You mean the red one? 15 Q. Yes, red or green, whichever colour you want. That's 16 achieved by glass or plastic within the casing. 17 A. If I remember -- I'm not sure, but my impression is that 18 it should be plastic. Red plastic. 19 THE CHAIRMAN: Do we have a photograph of the exterior of 20 the navigation light? 21 MR SUSSEX: Yes, we do. Pages 310, 311, 313. 22 THE CHAIRMAN: One that shows the red? Yes. 23 MR SUSSEX: Page 311. 24 THE CHAIRMAN: Can we zoom in to that, please. 25 MR SUSSEX: Tell me, do you get the impression that that</p>	<p style="text-align: right;">Page 156</p> <p>1 Q. So that if water is entering these otherwise watertight 2 casings through some limited aperture, there could be 3 a jet of water entering the casing, could there not? 4 A. It depends on how this housing/casing was made. From 5 the top, I find each should be watertight and it has 6 a screw to make it screwed. You can close the top lid 7 tightly. But underneath, I am not sure whether it is 8 made to -- make it perfectly watertight. Just depends 9 on how much -- from my opinion, it could have been water 10 coming from the bottom, because I did not make a very, 11 very detailed examination. But I did find water inside, 12 first of all. And if did the water come in from the 13 bottom, if that from the bottom wall, then one place the 14 water can come inside. So the pressure will -- how do 15 you say? -- inside the housing will be similar to the 16 outside. 17 So I won't expect the water will jet inside, just 18 leak in slowly if there is an opening at the bottom. 19 Q. If there is the aperture such as I've described, this is 20 obviously not watertight, because water got in -- and it 21 did come in as a jet, so assume that for the moment -- 22 that would be sufficient to crack a bulb without it 23 having been warm beforehand, wouldn't it? 24 A. Sorry, can you repeat? 25 Q. Yes. If water entered this navigation light casing in</p>

<p style="text-align: right;">Page 157</p> <p>1 the form of a jet, that jet would be sufficient to crack 2 a light bulb, even a cold light bulb; do you agree? 3 It's possible. That's all I'm asking. 4 A. I don't think that glass bulb was so weak, just a jet of 5 water can crack it. Actually, I did some experiment in 6 the laboratory to crack the glass bulb. I found it 7 needs some force. I don't agree that a jet of water can 8 crack the glass bulb. 9 Q. Well, there's -- 10 A. In addition, if this casing is really watertight, so it 11 depends on how much the -- anyway, my opinion is that 12 a jet of water cannot occur inside the housing. 13 Q. Well, we do know, don't we, that the all-round light 14 remained intact and workable? 15 A. Yes. 16 Q. We can assume from that, can we not, that the casing in 17 that case did not flood? 18 A. I did not examine, because I have a record in my 19 statement that I cannot open it at the time of my 20 examination. 21 Q. Right. 22 A. So I just advised the police to seize the glass bulb for 23 me to conduct the examination. 24 Q. But does it not suggest that that particular casing was 25 in fact watertight?</p>	<p style="text-align: right;">Page 159</p> <p>1 A. I agree. 2 THE CHAIRMAN: When you examined them when you were on the 3 boat, Sea Smooth, did you find any rubber seals on the 4 inside of the covers? 5 A. I have examined -- during the whole process, I asked the 6 crew member to take away all the manholes, and I did 7 examine one or two. I don't exactly remember how much. 8 After I examined one or two, then I just want to know 9 what is the -- my focus go into attention to the 10 compartment underdeck. So I did not make a detailed 11 examination, all of these. But from this photograph, 12 I agree that there is a -- it seems like rubber sealing 13 at the edge. If this is the rubber sealing, I agree 14 that this one should be a watertight bulkhead. 15 THE CHAIRMAN: But my question was this: of the manhole 16 covers, the one or two, I think you are now saying, that 17 you did examine, the covers, did you see any rubber 18 seals on them? 19 A. I remember I don't see at that time. But I'm -- 20 MR SUSSEX: Have you a specific recollection that you did 21 not see rubber seals, or is your evidence that you don't 22 remember? 23 A. I did not remember. 24 MR SUSSEX: Thank you, Dr Cheng. 25 MR PAO: Mr Chairman, may I have leave to ask Dr Cheng a few</p>
<p style="text-align: right;">Page 158</p> <p>1 A. Maybe it will be affected but it may -- the glass bulb 2 may not be turned on or off. I have no opinion on this 3 one. 4 Q. But if the water was entering casing under the pressure 5 of a jet, I do suggest -- 6 A. I don't agree with this. 7 Q. -- that would be sufficient to crack a light bulb. 8 THE CHAIRMAN: He's dealt with that and he rejects your 9 proposition. 10 MR SUSSEX: So be it. 11 One last point. You expressed the view that the 12 manhole covers on the main deck of the Sea Smooth were 13 not watertight -- 14 A. Yes. 15 Q. You've said that that is because you did not see any 16 rubber on the outside of the hole; is that right? 17 A. Yes. 18 Q. Did you look underneath the manhole cover? 19 A. Yes. 20 Q. This is a photograph taken today of a manhole cover from 21 the Sea Smooth, and do you see that there is a rubber 22 ring around the perimeter of the manhole cover? 23 A. Yes. 24 Q. So would you accept that that is intended to achieve 25 a watertight seal?</p>	<p style="text-align: right;">Page 160</p> <p>1 questions on his measurements of the thickness of the 2 aluminium plating on the hull of the Lamma IV? 3 THE CHAIRMAN: Where does he deal with that? 4 MR PAO: Paragraph 3.2.4. The last sentence of that 5 paragraph, Dr Cheng says: 6 "The thickness of the aluminium alloy hull at the 7 hole ..." 8 THE CHAIRMAN: Yes, certainly. 9 Examination by MR PAO 10 MR PAO: May we have Dr Cheng's photograph 11 on page 387 up 11 on the screen, please. The top one, yes. Thank you. 12 Dr Cheng, that's the photograph taken by you of what 13 you call the gash and the jagged hole in the port hull 14 of Lamma IV. 15 A. Correct. 16 Q. You did make some measurements of the size of the gash 17 and the size of the hole. 18 A. Yes, including the thickness. 19 Q. Yes. You've also taken measurements of the thickness of 20 the aluminium plating. 21 A. Correct, yes. 22 Q. Can you tell me first what instrument did you use for 23 the measurements of the thickness? 24 A. I used a pair of calipers that is designed for measuring 25 thickness.</p>

<p style="text-align: right;">Page 161</p> <p>1 Q. Can you show to us at which point of the gash and the 2 jagged hole you measured the thickness of the aluminium 3 plate? 4 A. I don't exactly remember. Should be the bottom part, 5 because I just stand next to the hole and the gash and 6 then make a measurement which I can reach. 7 Q. You mean just the part below the waterline? 8 A. Correct. 9 MR PAO: Thank you. 10 A. But, Mr Chairman, I need to provide some additional 11 information. 12 THE CHAIRMAN: Please do. 13 A. The thickness I measured is on the hole and the gash, 14 because at that area, the hull, the plating, has 15 a little bit deformed. So it will affect very accurate 16 measurement. So this is just for information, just let 17 me know how thick of the hull. So if it did really need 18 some accurate measurement, I will suggest that that make 19 it in the other part, for example an intact part of the 20 hull, rather than on the part that I measured. But this 21 is the only way I can do it, because I don't have some 22 instrument to make the measurement of the thickness of 23 the hull at the intact area. 24 THE CHAIRMAN: So a more accurate way of measuring it would 25 be on an intact part of the hull, with different</p>	<p style="text-align: right;">Page 163</p> <p>1 seat therefore make it easier eventually for the seat to 2 be dislodged when the subsequent event -- 3 THE CHAIRMAN: The missing part of the second time you put 4 the question was "a little bit", because that's how you 5 put it the first time. 6 MR MOK: Yes. 7 THE CHAIRMAN: So, "shaking and loosening the seat a little 8 bit, would that ..." 9 MR MOK: Yes, okay. 10 Dr Cheng, following on from your earlier answer, 11 I know that you haven't conducted any experiment on that 12 basis. Would the shaking of the seat as a result of the 13 backward force make it easier therefore for the seat to 14 be dislodged upon the happening of the subsequent 15 events, for example the vessel becoming vertical at 16 a subsequent stage? 17 A. Yes, I have already pointed out that the grip of the 18 screw will loosen over time. So this, on the collision, 19 it will -- one occasion with additional force, to 20 further loosen this hole. This is just one of the 21 factors. But whether it will -- just what I have 22 explained, for this force, it's not much very hard, 23 I will not expect that if this is just -- without this 24 collision, my opinion is that the seats will still 25 detach if the vessel is coming up vertically.</p>
<p style="text-align: right;">Page 162</p> <p>1 instruments? 2 A. Correct. 3 THE CHAIRMAN: Thank you. 4 Yes, Mr Mok? 5 MR MOK: Mr Chairman, I have a few questions concerning the 6 seating. 7 THE CHAIRMAN: Yes. 8 Examination by MR MOK 9 MR MOK: Dr Cheng, I would like to ask you a few questions 10 concerning the seating. 11 A. Okay. 12 Q. The first question follows on from a question from my 13 learned friend Mr Grossman. 14 A. Okay. 15 Q. You remember you said that at the point of collision, 16 there would be some backward force being applied against 17 the back of the chairs? 18 A. Yes. 19 Q. But that may not be sufficient to dislodge the seats? 20 A. Yes. 21 Q. Now, my question is, would that force which is applied 22 to the back of the seat be sufficient to have shaken the 23 seat a little bit or loosen the seat a little bit? 24 A. Yes, I agree, it will. 25 Q. So would that force which has shaken or loosened the</p>	<p style="text-align: right;">Page 164</p> <p>1 Q. Thank you. My second question relates to the single 2 seat which remained attached inside the upper deck. 3 A. Yes. 4 Q. One issue arising from that is whether more force or 5 less force is required to detach the seats or the other 6 seats, because you did an experiment in relation to that 7 seat. 8 A. Yes. 9 Q. A question that arises is whether more force or less 10 force is necessary to detach the seats that you had not 11 tested. 12 A. My opinion is that less force is needed. 13 Q. One possibility which was mentioned this morning was 14 that perhaps the screw holes relating to the seat that 15 remained attached might have been less compromised than 16 the screw holes which were in relation to the other 17 seats which were detached; do you remember that? That 18 was one possibility? Less loose? 19 A. Yes. Okay, yes. 20 Q. You remember that? 21 A. I remember. 22 Q. May I put to you another possibility. Is it also 23 possible that maybe no passenger happened to be sitting 24 or hanging onto this particular seat, and therefore 25 there wasn't any force being applied on the seat at the</p>

<p style="text-align: right;">Page 165</p> <p>1 time of the accident, so that it still remained, 2 attached subsequently? Would that be a possibility? 3 A. You mean before the collision or after? 4 Q. At the time of the accident, you said that some people 5 may be sitting or hanging onto the back of the chairs -- 6 A. Yes. 7 Q. -- when the vessel was vertical -- 8 A. Yes. 9 Q. -- and that force would be sufficient to detach the 10 chairs. 11 A. Yes. 12 Q. Would it also be possible that in relation to this 13 single seat which remained attached, that there was no 14 passenger sitting or hanging onto it so that may be one 15 reason why it was not detached? 16 A. Sure, it may be, but just an opinion that if there is no 17 more thing to grab and if there is a seat, I will expect 18 somebody will try to grab it. 19 Q. Well, you don't know that. There is a possibility -- 20 A. Yes, I don't know. Agree. 21 Q. Would it be fair to say that on the existing evidence, 22 you will not be able to tell which possibility is more 23 likely than the other? 24 A. Which two possibilities? 25 Q. The first possibility is that the screw holes in this</p>	<p style="text-align: right;">Page 167</p> <p>1 Q. The question I would like to ask is, what is the 2 position in relation to the vessel during its normal 3 operation? When the vessel is in its normal operation, 4 as between these two extremes -- one is 230 kg, the 5 other is 115 kg -- in its normal horizontal operation, 6 what kind of force would be necessary to detach the 7 seats from the flooring? 8 A. It would be about 115 kg. 9 Q. Sorry, when the ship was in horizontal position and 10 people were sitting on it -- 11 A. Yes. If there is force equivalent to 115 kg pulling on 12 the back of the seat, then it will detach. 13 Q. 115 kg? 14 A. Yes. 15 Q. I don't know whether you can assist or not. During the 16 normal operation of the vessel, do you expect that kind 17 of force to be attained so that the seat may be 18 dislodged during the normal operation? 19 A. Yes. I have explained previously that during normal 20 operation, a passenger will sit on the seat, there are 21 two forces. One of the forces push the seat downwards 22 towards the deck, and the other force pulling -- that 23 means, when the passenger mean back or because the wave 24 caused some movement of the passenger, part of the force 25 will exert on the back of the seat. Depends on how</p>
<p style="text-align: right;">Page 166</p> <p>1 particular seat were more firmly attached or less 2 loosened than the other seats. That's one possibility. 3 A. Okay. 4 Q. The other possibility is that during the accident, 5 no-one was actually sitting on or hanging on to this one 6 seat and therefore it remained attached. 7 A. Yes. 8 Q. So on the existing evidence, would it be fair to say 9 that you would not be able to tell which possibility is 10 more likely than the other? 11 A. Yes, agree; I cannot tell. 12 Q. May I now come to your experiment on the seats. 13 A. Okay. 14 Q. Can I ask you to please look at paragraph 5.6. That 15 paragraph relates to the result of your experiment on 16 that single seat, and you said that the force that was 17 necessary to detach that particular seat was less than 18 230 kg; right? 19 A. Yes. 20 Q. You also said that when the vessel was in a vertical 21 position, because people would be hanging on or sitting 22 on the back of the chair, then it would require less 23 force, which is said to be less than 115 kg, for that 24 chair to be detached. 25 A. Yes.</p>	<p style="text-align: right;">Page 168</p> <p>1 strong of these two forces. And because the body -- 2 when we sit on a seat, on a chair -- I call it chair -- 3 then the force pressed towards the ground is the whole 4 body weight. And the force exerted on the back of the 5 seat is just part of the body weight. So in this 6 operation, under these circumstances, there will be no 7 resulting force -- we use some scientific term -- no 8 final force will put on the back of the seat. Just like 9 the experiment I conducted, when we lean back on the 10 back of the seat, of this chair, the seat, it is not 11 mounted on the floor. I won't topple. 12 So that means I just -- my opinion is that under 13 normal operation, I think this force can't be achieved 14 with just a passenger sitting on it, unless some people, 15 just like a kid, when they sit on a chair they have 16 a lot of movement, or elongate their leg, pressing to 17 the front chair, or do something which is against normal 18 use. 19 Q. Do something extreme? 20 A. Yes. 21 Q. Thank you. My last question is this. May I invite you 22 to look at Dr Armstrong's report at page 467, please. 23 Do you see the bottom drawing? 24 A. Yes. 25 Q. Just a quick explanation. That is the section of the</p>

<p style="text-align: right;">Page 169</p> <p>1 fibreglass and the foam that was embedded in it. 2 A. Yes. 3 Q. The top part, I believe, is what is called the woven 4 roving. It's what you call the fibreglass layer. 5 A. Exactly. 6 Q. You measure the fibreglass to be about 3 mm in 7 thickness? 8 A. Correct. 9 Q. Now, let's assume that this layer is 5 mm, instead of 10 3 mm, which was actually the case. 11 A. Yes. 12 Q. On the basis of your experiments, and all the evidence 13 that you have seen, including what is set out in 14 Dr Armstrong's report, would it be possible for you to 15 exclude the possibility that the seats which were 16 detached in this accident would still have been detached 17 even if the fibreglass layer had been 5 mm thick? Could 18 you exclude that possibility; that the result would 19 still be the same? 20 A. First of all, my experiment just focused on the existing 21 fibreboard and, without any further experiment, I cannot 22 exclude the possibility or determine how much force is 23 needed to detach a seat if the woven roving or the 24 fibreboard was increased from 3 mm to 5 mm. 25 THE CHAIRMAN: You'd need to do the experiments with 5 mm?</p>	<p style="text-align: right;">Page 171</p> <p>1 white powder, to see whether or not it is tungsten oxide 2 or salt, or is it too late? 3 A. Sorry, the glass bulb has already been returned to the 4 police. If the police further submit to our laboratory, 5 we can conduct an experiment on this one. 6 Q. Right. But of course we have heard of chain of evidence 7 and all that, people touch it, and fingerprints and all 8 that, but salt would not suddenly become tungsten oxide, 9 tungsten oxide wouldn't suddenly become salt; right? If 10 it's tungsten oxide, it does -- 11 A. Yes. 12 THE CHAIRMAN: Let's deal with that issue now. 13 Mr Mok, will you cause the police to deliver these 14 bulbs to the doctor for examination. 15 MR MOK: Yes. 16 THE CHAIRMAN: Doctor, would you be kind enough to test them 17 for tungsten oxide and report your results to us. 18 A. Sure. Yes. 19 MR MOK: We'll facilitate that. 20 MR SHIEH: Perhaps also for salt, that being the only 21 possible alternative suggested at the moment. 22 A. Yes. 23 Q. Salt, I take that to be sodium chloride? 24 A. Yes. A lot of salt. There's not only sodium chloride. 25 MR SHIEH: Well, I'm not sure what kind of salt is</p>
<p style="text-align: right;">Page 170</p> <p>1 A. Yes, if I need to answer, but I cannot exclude the seat 2 still coming out. Sure, it depends on how much force is 3 applied. Maybe if the same force, it may be a little 4 bit difficult. It should be much -- I will agree that 5 a higher force may be needed. 6 MR MOK: Yes. But you don't know how much? 7 A. Yes, I don't know how much. 8 MR MOK: Thank you. 9 I have no further questions. 10 THE CHAIRMAN: Thank you. 11 Mr Shieh? 12 Further examination by MR SHIEH 13 MR SHIEH: Dr Cheng, my first question arose out of the 14 question concerning the possibility that the substance 15 that you saw, the white substance, could well be I think 16 salt. Do you remember the question? 17 A. Yes. 18 Q. Can you tell us where the various samples on which you 19 did your experiment are at the moment? 20 A. Sorry? 21 Q. Can you tell us where the various samples of tungsten 22 that you conducted your experiment on are at the moment? 23 Are they still kept by the Government laboratory? 24 A. Yes. 25 Q. Is it now still possible to conduct an experiment on the</p>	<p style="text-align: right;">Page 172</p> <p>1 suggested. 2 THE CHAIRMAN: If you establish it's tungsten oxide, that's 3 good enough, I think. 4 MR SHIEH: There is a number of questions concerning the 5 characteristics of tungsten that I wish to follow up 6 with you. 7 You were asked a question that tungsten actually 8 cools down quickly. Do you remember being asked that 9 question? 10 A. It's not -- it did, because depends on the size of this 11 object. For the filament, my knowledge is that it will 12 cool down very fast and won't have further reaction with 13 the oxygen ingress. 14 Just like I have some experience on examining the 15 indicator light of vehicles, because it keep on flashing 16 and I have examined one of these glass bulb, it's that 17 glass bulb has really under operation when the collision 18 happened. But because it turned off, it keep on 19 flashing, and I have encountered a case that one of the 20 glass bulbs was cracked when it suddenly -- it is off in 21 the flashing cycle. And at that time, I cannot find any 22 tungsten oxide, because it already cooled down. But the 23 colour of the filament has changed and has some 24 characteristic -- colour change will be observed on the 25 filament, and this is also well-published in lots of</p>

Page 173	Page 175
<p>1 papers and textbooks, indicating that the glass bulb 2 would crack when the filament just turn off and because 3 the temperature going down. So at this case, no 4 tungsten oxide was noted. 5 So that's why I know that the filament will cool 6 down very fast. 7 THE CHAIRMAN: As measured by a flashing indicator light? 8 A. Yes. 9 THE CHAIRMAN: Thank you. 10 MR SHIEH: Meaning that if the power goes off and the light 11 goes out and the heat, which was supposed to be very 12 high in the tungsten filament, would subside within 13 a short time -- 14 A. Yes, yes. Maybe it will go down to the temperature no 15 tungsten oxide will form, very fast. 16 Q. Right. What we are interested in is -- obviously if you 17 can't estimate, you can't estimate. But within what 18 order of magnitude of time would it cool down to such 19 a state where no tungsten oxide could be formed? 20 THE CHAIRMAN: Is that your flashing indicator bulb example? 21 A. Yes, maybe just less than one or two seconds. 22 MR SHIEH: Right. So within one or two seconds of the power 23 going out, the temperature would be such that there 24 could no longer be any oxidation? 25 A. Yes.</p>	<p>1 the window latch. I'm bound to say the task has not 2 been addressed in the detail that is perhaps necessary. 3 Perhaps we could go to the fourth photograph. 4 That's the one. Zoom in on that, if you would, on the 5 latch. 6 MR SHIEH: I understand that a prior set of photographs have 7 also come in in this form (indicates). 8 THE CHAIRMAN: I understood that these had been taken over 9 lunchtime by the police. That's the information I was 10 given. 11 Mr Mok, do you know if that's the case? 12 MR SHIEH: The set of six photographs? 13 THE CHAIRMAN: Yes. 14 MR MOK: I think there's some misunderstanding. These are 15 previous photographs, and they are still organising 16 fresh photographs to be taken. So, Mr Chairman, maybe 17 we will have that on Monday. 18 THE CHAIRMAN: Well, I'm relieved. For the avoidance of 19 doubt, what we'd like displayed in detail is the latch 20 arrangement, how easy or difficult it is to open up the 21 sliding window. That's the point. 22 MR MOK: Perhaps could those be taking the photographs be 23 reminded that it's the latch that we are particularly 24 interested in. 25 THE CHAIRMAN: Thank you.</p>
Page 174	Page 176
<p>1 Q. Thank you. There's one question I would like to ask 2 you, about one hypothetical scenario put to you by 3 Mr Sussex. 4 Remember he put to you the hypothesis that power 5 could well have been turned back on, resulting in the 6 relighting of the tungsten filament, after the vessel 7 had been salvaged? 8 A. Yes. 9 Q. After the crack in the bulb? Do you remember that 10 series of questions? 11 A. I remember. 12 Q. If you have a vessel such as the Lamma IV, let's say the 13 bulk of it was submerged in water, with a result that 14 the power has gone out -- it is then salvaged -- to what 15 extent is the possible that you can actually switch back 16 the power? 17 A. I have no idea. 18 Q. You have no idea. Thank you. 19 Can I just for a moment, Mr Chairman. 20 THE CHAIRMAN: Yes. 21 MR SHIEH: I'm waiting for certain information to be 22 supplied. 23 THE CHAIRMAN: Whilst you're discussing that, might 24 I mention this. We have some photographs that were 25 taken of the windows of Lamma IV to try and help us with</p>	<p>1 MR SHIEH: Dr Cheng, I was told that once the engine had 2 stopped and gone out, it couldn't be restarted. Would 3 you be in a position to comment on that? 4 A. No, I can't. 5 THE CHAIRMAN: By that you mean once the engine had been 6 submerged in water? 7 MR SHIEH: Submerged in water, yes. 8 But this witness wouldn't be able to confirm one way 9 or the other, so that has to be left to some other 10 witness, probably Dr Armstrong. 11 I have no further questions for you. Thank you. 12 THE CHAIRMAN: Dr Cheng, thank you very much for assisting 13 us with your detailed evidence, which has been most 14 helpful. 15 A. Thank you. 16 THE CHAIRMAN: If we can trouble you for reporting back to 17 us by way of a short report the analysis of the white 18 powder found in these bulbs. 19 A. Okay. 20 THE CHAIRMAN: If you're able to do that as soon as 21 possible, that would help us. 22 A. Sure. I will. 23 THE CHAIRMAN: Thank you very much. You're free to go. 24 25</p>

<p style="text-align: right;">Page 177</p> <p>1 (The witness withdrew) 2 MR SUSSEX: Mr Chairman, I provided to the Commission's 3 counsel a job order from Cheoy Lee Shipyards dated 4 24 September 2012, which records a purchase order for 5 the construction of a new stem plate on the port side of 6 the Sea Smooth. If any further explanation is required, 7 perhaps somebody could tell us they require a statement. 8 THE CHAIRMAN: Thank you very much. If you give it to 9 counsel, no doubt they'll draw it to our attention in 10 due course. Thank you for that. 11 MR MOK: Mr Chairman, we have on our part I believe sent 12 an email to Lo & Lo concerning footnote 10 and the part 13 of the hull that was supposed to be under maintenance, 14 the information -- 15 THE CHAIRMAN: Sorry, the what that was supposed to be -- 16 under maintenance? 17 MR MOK: Yes. There is an email which has been sent over, 18 I believe, by now. 19 THE CHAIRMAN: Yes. Thank you very much. 20 Just a matter of housekeeping. I think perhaps we 21 ought to add the photograph put in by Mr Sussex to 22 Dr Cheng's bundle, but marked as coming from Mr Sussex, 23 showing the manhole cover, and then we'll remember that 24 it relates to his evidence. 25 MR SHIEH: Mr Chairman, just as a matter of the road</p>	<p style="text-align: right;">Page 179</p> <p>1 MR SHIEH: Can I enquire when Dr Peter Cheng is expected to 2 leave Hong Kong, because I understand -- 3 THE CHAIRMAN: We were told -- 4 MR SHIEH: -- it's the 31st. 5 THE CHAIRMAN: We were told the 31st. 6 MR MOK: That is what we were told. 7 MR SHIEH: Would it be in the evening or the morning. 8 MR MOK: I don't know. 9 MR SHIEH: Could it be checked? Because if it's the 10 evening, there could still be the whole day of the 31st. 11 MR MOK: In the morning, I'm just told. 12 MR SHIEH: Right. I understand. Thank you. 13 THE CHAIRMAN: Thank you for that. 14 There are a few outstanding matters I'd like some 15 information on. Do we have an insurance policy yet from 16 Hongkong Electric? A policy, not extensions, amendments 17 and so on. 18 MR GROSSMAN: Yes. 19 THE CHAIRMAN: Do we have the whole policy? 20 MR GROSSMAN: I have it. You don't, I do; you will. 21 THE CHAIRMAN: Thank you. Are you able to do that this 22 afternoon? 23 MR GROSSMAN: Yes. 24 THE CHAIRMAN: Thank you. 25 We asked for information about the characteristics</p>
<p style="text-align: right;">Page 178</p> <p>1 forward. On Monday, Dr Armstrong is expected to be 2 called. Depending on when he finishes, we may just be 3 able to slot in Dr Peter Cheng. 4 THE CHAIRMAN: Well, let's see how we go. 5 MR SHIEH: We'll see. 6 THE CHAIRMAN: The first issue will be whether or not there 7 are issues between the two of them. But if there are, 8 if necessary, where there are issues, that could be 9 dealt with and then perhaps we can try and bring in, if 10 we need to, Dr Peter Cheng to deal with the issues. And 11 we can deal with the other matters that are not issues. 12 MR SHIEH: I can inform the Commission that there is 13 a second supplemental report of Dr Armstrong in the 14 pipeline because he has taken in the various materials 15 and evidence that has been given, and he will be dealing 16 with Dr Peter Cheng's report. 17 THE CHAIRMAN: Right. When is that going to be served on 18 the Commission and the parties? 19 MR SHIEH: I think later this afternoon, as soon as we 20 adjourn it will be finalised and then served. 21 THE CHAIRMAN: I think it ought to be served this afternoon 22 so that everyone has time to digest it and take 23 instructions. 24 MR SHIEH: Yes. 25 THE CHAIRMAN: So I'd ask that that be done this afternoon.</p>	<p style="text-align: right;">Page 180</p> <p>1 of the light at the end of the entrance to the Lamma 2 Power Station typhoon shelter, what Mr Sussex calls the 3 fog light. 4 MR SHIEH: The fog light. 5 THE CHAIRMAN: Do we have information about the 6 characteristics? 7 MR GROSSMAN: I think we indicated everything had been taken 8 by the police. 9 THE CHAIRMAN: Mr Sussex wanted to know about 10 correspondence. All we're interested in is what are the 11 characteristics. What is the size of the bulbs? 12 MR SUSSEX: We do have some papers that deal with that, and 13 those -- 14 THE CHAIRMAN: The current one? 15 MR SUSSEX: Yes. Well, I think so. Those have found their 16 way into the bundle. I'm not sure I understand them at 17 the moment, but we're trying to work our way through 18 them. 19 THE CHAIRMAN: Mr Grossman, could you address your request 20 Mr Sussex had a separate one. We just want to know the 21 size of the bulbs operating on 1 October. 22 MR GROSSMAN: 1,000 watts. 23 THE CHAIRMAN: Thank you. Two bulbs? 24 MR GROSSMAN: Not sure. 25 THE CHAIRMAN: Well, could you become sure and then tell me.</p>

Page 181	Page 183
<p>1 Mr Shieh, I think the police assistance was being 2 enlisted to find out whether or not there's anything of 3 relevance for us in CCTV film from the CCTV cameras at 4 the piers in Lamma Power Station. 5 MR SHIEH: That has been outstanding for some time, 6 I understand. 7 THE CHAIRMAN: Who is addressing this issue? 8 MR SHIEH: I believe Hongkong Electric. 9 THE CHAIRMAN: I think it was the police who were being 10 asked to help. I just want to make sure that the ball 11 hasn't been dropped and is lying in a corner. 12 MR SHIEH: I still remember the saga about requesting the 13 CCTV footage at the Lamma pier. 14 The police have taken the CCTV, so it is now in the 15 custody of the police. 16 THE CHAIRMAN: Yes. 17 MR SHIEH: I can see instructions being taken. 18 THE CHAIRMAN: Mr Mok, are you able to help? 19 MR MOK: I'm not able to help at this moment. I think we 20 need to liaise with them to see where exactly the films 21 are. 22 THE CHAIRMAN: I think the issue was that the normal 23 recording has been wiped, but it may be on a hard disk. 24 If someone can look at the hard disk -- that I think was 25 the offer from the police -- if they could do so and do</p>	<p>1 (4.39 pm) 2 (The hearing adjourned until 10 am 3 on Monday, 28 January 2013) 4 5 6 7 8 9 10 11 12 13 14 15 16 17 18 19 20 21 22 23 24 25</p>
Page 182	Page 184
<p>1 so now, that would be helpful. 2 MR MOK: Yes. We'll press them further. 3 THE CHAIRMAN: Thank you. 4 Mr Shieh, we'd like some help, the matter having 5 been touched on by Mr Sussex today, as to the various 6 sources of electricity in Lamma IV. 7 MR SHIEH: Yes. 8 THE CHAIRMAN: Undoubtedly there will be engine, generator, 9 engine room batteries. There may be house batteries. 10 MR SHIEH: Just as the evidence was ongoing, in fact I have 11 caused enquiries to be made, first of all from the Cheoy 12 Lee plans and from various sources. I wouldn't want to 13 give a rash answer, but that -- 14 THE CHAIRMAN: No, no, I'm not asking for an rash answer 15 now. 16 MR SHIEH: That ultimately is a question of fact which will 17 be looked into and will be dealt with by primary 18 evidence. 19 THE CHAIRMAN: In particular address the issue of whatever 20 is the emergency lighting system. 21 MR SHIEH: Back-up, and where they're located. 22 THE CHAIRMAN: And where the batteries are. 23 MR SHIEH: Yes, they will be. 24 THE CHAIRMAN: Thank you very much. In which case, we'll 25 adjourn until 10 o'clock on Monday.</p>	<p>1 I N D E X 2 DR CHENG YUK-KI (on former affirmation)1 3 Examination by MR SHIEH (continued)1 4 Examination by MR GROSSMAN119 5 Examination by MR SUSSEX136 6 Examination by MR PAO160 7 Examination by MR MOK162 8 Further examination by MR SHIEH170 9 (The witness withdrew)176 10 11 12 13 14 15 16 17 18 19 20 21 22 23 24 25</p>