

Page 1	Page 3
<p>1 Friday, 1 February 2013 2 (10.00 am) 3 DR NEVILLE ANTHONY ARMSTRONG (on former oath) 4 THE CHAIRMAN: Dr Armstrong, may I remind you that you 5 continue to testify according to your original oath. 6 A. Thank you, Mr Chairman. Good morning. 7 THE CHAIRMAN: Mr Mok. 8 Examination by MR MOK (continued) 9 MR MOK: Thank you, Mr Chairman. 10 Good morning, Dr Armstrong. 11 A. Good morning, Mr Mok. 12 Q. You have given me some work to do overnight, and I hope 13 we have produced that right document for your perusal. 14 This is part of the Rules and Regulations for the 15 Classification of Yachts and Small Craft, now paginated 16 as page 4061. 17 Have you got a copy of this? 18 A. Yes, I do. 19 Q. Is this the right document to help us to read the table 20 at page 4066? 21 A. Could I ask for page 4066 on the screen? 22 Q. You have a hard copy, right? 23 A. Unfortunately not paginated, Mr Mok. Oh, yes, it 24 appears to be the right one. Thank you. 25 Q. Yesterday -- this is the loose end that I wish to deal</p>	<p>1 square root of the waterline length", you have the value 2 of 4.81. Applying that, and doing some conversions, 3 then you can come to the thickness of 3.55 metres, more 4 or less. 5 A. Yes, Mr Mok, I agree. But again, if I may point out, 6 this is taken in isolation and not looking at the rules 7 as a whole. 8 Q. Sorry? 9 A. This calculation is taken in isolation, and not all 10 safety factors contained within the rules and 11 regulations are considered. 12 Q. I understand. 13 THE CHAIRMAN: Your point is that if you're going to 14 construct a vessel, then you must abide by all the rules 15 within a particular -- 16 A. You must abide by all of the rules contained within 17 individual documents. 18 THE CHAIRMAN: Not just cherry-pick one from one set of 19 rules and another from another set of rules? 20 A. Exactly, yes, sir. 21 MR MOK: But the difficulty we have here, Dr Armstrong, is 22 that if the Blue Book were to be applied, the Blue Book 23 really doesn't contain all the rules. So, for example, 24 the plate thickness is not a matter which is being dealt 25 with in the Blue Book. That is a difficulty.</p>
Page 2	Page 4
<p>1 with now -- you were asking about the definition of "L" 2 on the table. You see column one says "L", "length", 3 and you were wondering what the definition was. You 4 will see, I believe, this on page 4064; that is, 5 section 2, paragraph 2.1.3. 6 A. Yes, sir. 7 Q. L equals to length overall plus the length of the 8 waterline divided by 2. Is that correct? 9 A. Yes. 10 Q. Is that your understanding? 11 THE CHAIRMAN: Sorry, which paragraph reference? 12 MR MOK: It's paragraph 2.1.3 on page 4064. 13 THE CHAIRMAN: Yes. Thank you. 14 MR MOK: Overnight, someone assisted me to do a certain 15 calculation which I have to confess is a little bit 16 beyond me, but those calculations appear on page 4068. 17 So if we can have that. 18 Dr Armstrong, have you had a chance yourself to do 19 some calculation based on this table? 20 A. Yes. I think these are in line, Mr Mok, with what we 21 discussed yesterday, approximately. 22 Q. Approximately. So if we just go to the red lines at the 23 end, the result was that if you apply the table and 24 taking "L equals 26.445 metres" using the formula, and 25 then giving a figure of "V", that is velocity, "over the</p>	<p>1 A. It's not dealt with in the Blue Book, but I did wonder 2 where the requirements came from in the 1995 3 Instructions, and I can only surmise that they must have 4 come about because people were discussing this at the 5 time when Lamma IV was probably being built, because we 6 know that's when the rules were being formulated. So 7 there was obviously some need from somebody to minimise 8 the plating thickness -- sorry, yes, state a minimum for 9 the plating thickness. But I don't know where that came 10 from. 11 Q. Yes. Again, I think we went through that yesterday. 12 I think you accept that this line of reasoning is a bit 13 of a speculation, because we don't really know. 14 A. Yes. 15 Q. Right. Now, going back to my point; that is, if you 16 treat the Blue Book as being the applicable instructions 17 at the time, one difficulty is that the Blue Book 18 actually doesn't contain everything. For example, it 19 doesn't contain the thickness of plating. 20 A. It contains very little, in fact. 21 Q. Yes. Because of the gap -- I think we went through this 22 yesterday as well -- one has to borrow from some rules 23 which are well-recognised at the time, including some of 24 the classification society rules? 25 A. Yes.</p>

Page 5	Page 7
<p>1 Q. We also went through yesterday that Lloyd's Register was 2 one of the few organisations that provide rules for 3 small craft at the time? 4 A. I agree, they were, yes. 5 Q. Just whilst we are on this point, if I may just complete 6 one small matter by referring to one of the rules in the 7 1995 Instructions. This is in bundle 8, tab 2. 8 I believe it is rule 4.5, page 1818. 9 I think this rule has been referred to, which says: 10 "For a vessel classed with a recognised 11 classification society, the hull construction and 12 machinery installation may be examined by surveyors of 13 that classification society, and the requirements of 14 chapter II 3.2 ..." 15 If we flip to that page very quickly, that deals 16 with hull thickness, I think, on page 1820, 3.2. 17 Correct? 18 A. Yes. 19 Q. Going back to paragraph 4.5: 20 "... and minimum shaft diameter in chapter IV 3 may 21 be ignored. In such circumstance the vessel shall 22 remain classed if it wishes to continue being licensed. 23 If the vessel is de-classed but intended to continue 24 being licensed, the requirements of these Instructions 25 shall be complied with in full."</p>	<p>1 this was the situation at the time when the Blue Book 2 was applied? 3 A. Yes, it is an unsatisfactory situation but was the 4 situation at the time. 5 Q. Thank you very much. 6 Going back to the calculations that we just ran 7 through relating to the Lloyd's Register, do you also 8 agree -- and this is one of the observations by Dr Peter 9 Cheng -- that where you have a thickness value of less 10 than 4 mm, then you have to take 4 mm as the minimum. 11 Are you aware of that or do you agree with that? 12 A. No, I don't understand the context of that. 13 Q. All right. I think going back to the Rules 14 themselves -- 15 A. Ah. There is a minimum thickness. 16 Q. Yes. 17 A. I understand. 18 Q. And the minimum thickness is 4 mm. 19 A. Is 4 mm. 20 Q. So where, as in this case, your calculation comes to 21 3.55 mm, then the minimum requirement was in fact not 22 3.55 under those rules, but 4? 23 A. Yes. 24 THE CHAIRMAN: Where is this provision? 25 MR MOK: Mr Chairman, this is in one of the reports of</p>
Page 6	Page 8
<p>1 Do you see that? 2 A. I see that. 3 Q. I think this dovetails the remark just made by 4 Mr Chairman, and also by you, that where you apply 5 a particular rule, for example concerning thickness, you 6 have to deal with this in context, in the context of the 7 other rules as well. This is the meaning of the vessel 8 being continued in class. Is that right? 9 A. Correct, yes. 10 Q. And your understanding of this rule is that if it is not 11 in class, then instead of referring to those rules, then 12 you have to comply with the rules in the 1995 13 Instructions? 14 A. That's certainly how I read it, yes. 15 Q. Yes. But you would also agree that this rule only 16 applies if the 1995 Instructions apply? 17 A. It is not in the Blue Book, yes. 18 Q. Yes. So in the Blue Book, because we don't have as 19 comprehensive a set of rules as the 1995 Instructions, 20 there would be no requirement or indeed it would be 21 impossible to say that if the vessel is not in class, 22 then you need only refer to the rules in the Blue Book, 23 because the Blue Book doesn't contain all the rules. 24 A. Yes, Mr Mok, again. 25 Q. So it is an unsatisfactory situation, but there it is;</p>	<p>1 Dr Peter -- 2 THE CHAIRMAN: No, the basis for the assertion. Where does 3 it have its origin? 4 MR MOK: It's in the Rules themselves. 5 THE CHAIRMAN: In which rules? 6 MR MOK: I'm just looking at Dr Peter Cheng's report. 7 THE CHAIRMAN: Take your time. 8 A. If I might help, Mr Mok? 9 MR MOK: Thank you. 10 THE CHAIRMAN: Yes, please, Dr Armstrong. 11 A. Page 4067. 12 THE CHAIRMAN: Which rules are we looking at? 13 A. These are the Lloyd's Rules and Regulations for the 14 Classification of Yachts and Small Craft. 15 MR MOK: Yes. It's note 5. 16 THE CHAIRMAN: The reference, please? 17 A. Page 4067. 18 THE CHAIRMAN: And the paragraph number? 19 A. It's not in a paragraph, sir. It's in a table, table 20 3.5.2, "Shell plating". On the top right-hand side on 21 the screen, it says "ts (minimum) ... greater than 3", 22 and there's a formula also related to length. 23 THE CHAIRMAN: Yes. 24 A. I believe the "4" is probably coming from the 25 formulation of 0.6 times L, L being the mean of overall</p>

Page 9	Page 11
<p>1 and waterline length -- 2 THE CHAIRMAN: Yes, I follow that. 3 A. -- plus 2.5. But I have not done the calculation. 4 MR MOK: Can we also go to note 5 of the same page, at the 5 bottom. I think it's the last line of that note. 6 THE CHAIRMAN: Yes. 7 MR MOK: Is that the relevant reference? 8 A. It's the same formulation. 9 THE CHAIRMAN: But how do we get 4 mm out of that formula? 10 MR MOK: I think it's 0.06 times the length, which in this 11 case is 26.445 plus 2.55. 12 Is that how we work this out? 13 A. I've just done the calculation, Mr Chairman, and it 14 comes out at 4.09. 15 Q. Thank you. Dr Armstrong, I would like to come to 16 a different topic now, if I may. This concerns the 17 flooding and the interpretation of the plans. 18 First of all, I believe you have seen this document. 19 It's called Trim &amp; Stability Booklet which was produced 20 by Naval-Consult. I think the relevant page is the 21 calculations concerning the damage stability. This is 22 in the miscellaneous bundle. The document starts at 23 page 111. You see on page 111, "Preliminary Trim &amp; 24 Stability Booklet", and Naval-Consult is the author. 25 A. Yes.</p>	<p>1 calculations which you have summarised in your second 2 supplemental report, page 928? 3 A. Whilst we're looking up the page, Mr Mok, I would say 4 that I would doubt they would be exactly similar, 5 because this calculation uses an assumed weight of the 6 vessel which was not known at that time. 7 Q. Yes. 8 THE CHAIRMAN: What is that figure? 9 A. 53.37 was the estimated weight for the lightship, 10 Mr Chairman. 11 MR MOK: And what should be the weight in 1996? 12 A. 48.74. It was lighter. 13 Q. Right. But I think the point here is, on those 14 conditions -- that is, the two rooms or two compartments 15 being flooded -- the margin line would not be immersed 16 and also the GMT would be all right. Do you agree with 17 that interpretation? 18 A. I agree the margin line would not be immersed. 19 Q. Yes. 20 A. With regard to the GMT, I don't believe it's on this 21 particular page, that I can see. But probably occurs on 22 the next page, 132. 23 Q. Which figure are we looking at? 24 A. Yes, I'm looking for it. The last line, "GM at 25 equilibrium".</p>
Page 10	Page 12
<p>1 Q. We have heard evidence that some of those calculations 2 at least were produced some time between I believe the 3 second half of 1994, and the beginning of 1995. Have 4 you had a chance to look at this document? 5 A. I have looked through them, Mr Mok. I have not checked 6 any of the calculations. 7 Q. I understand. And the only one page that I wish to 8 refer you to is page 141. This is one of the pages from 9 their preliminary stability or damage stability 10 calculation, under the condition that both the steering 11 room and the tank room were flooded. Is that correct? 12 A. I see that in the headline, yes. 13 Q. Yes. You also see the numbers there, near the bottom, 14 under the word "Hull". Then you have the steering gear 15 room compartment and the tank room compartment both 16 flooded. 17 A. Yes. 18 Q. That's indicated there. And you will see the total 19 displacement, 1,025, and the MT, 72.11. 20 If you look at the bottom, the draft, forward and 21 aft perpendicular are respectively 0.448 and 22 1.997 metres? 23 A. I see that. 24 Q. Are those figures in line with your own calculations? 25 I know it's not exact, but are they in line with your</p>	<p>1 Q. I see. 2 A. That refers to the GM value once flooding has stopped, 3 and it is well in excess of the minimum. 4 Q. That's the 1,613 per cent? 5 A. I'm looking at the last line on page 132. 6 It's 1,129 per cent. 7 THE CHAIRMAN: I'm sorry, how are we to interpret that? 8 A. The GM is required to be more than 0.050, and the value 9 they have calculated is 0.150. 10 THE CHAIRMAN: Thank you. Just give me a moment, please. 11 Thank you. 12 MR MOK: Your own conclusion, with better figures, on 13 page 926, the comparable figure -- 14 THE CHAIRMAN: Just give us a moment, please. 15 MR MOK: Yes, of course. 16 THE CHAIRMAN: Yes? 17 MR MOK: The comparable figure on page 926 of your second 18 supplemental report -- page 928 is what I had in mind, 19 sorry, the table at the bottom. The figure I have in 20 mind is under 1996, "No watertight door; 0.272; 21 Satisfactory"? 22 A. Yes. 23 THE CHAIRMAN: Just a moment, please. 24 "No watertight door; Depth to margin: 0.272; 25 Satisfactory". Is that the column?</p>

Page 13	Page 15
<p>1 MR MOK: I believe so. 2 THE CHAIRMAN: Dr Armstrong, is that what I'm trying to 3 follow? 4 A. I believe it is. 5 THE CHAIRMAN: Thank you very much. 6 Just pause, please. Thank you. 7 MR MOK: Although the heading of this table is "Tank room 8 only", but where we refer to this particular item, with 9 "no W/T door", this is actually a scenario where both 10 the tank room and the steering gear compartments are 11 flooded? 12 A. I have a difficulty with the calculation, Mr Mok, in 13 that the drafts that it gives at the bottom of the page 14 suggest that the draft at the forward end is greater 15 than the after end, which indicates that it's going down 16 by the bow -- when the after end is flooded does not 17 seem very satisfactory. 18 THE CHAIRMAN: So which calculation are you now passing 19 an observation on? 20 A. I'm referring to page 131, the original calculation done 21 at the early design stages by Naval-Consult. 22 MR MOK: Sorry, you're looking at page 131? 23 THE CHAIRMAN: And you're noting that the draft at the bow 24 is 0.948, whereas at the aft end it's 1.194; is that the 25 point?</p>	<p>1 Q. It doesn't. But assuming that the margin were correct, 2 would you agree that would be ample? 3 A. Oh, yes. I've always thought the GM value was adequate. 4 Q. Yes. Thank you. So with that, if we could go back to 5 your report once again on page 928. Under "1996", 6 second line, the point I was making is that although the 7 heading says "Tank room only", but that particular line, 8 with a figure of 0.272, actually relates to the 9 situation where both the tank room and the steering gear 10 compartment are flooded? 11 A. When you read the line "No watertight door", yes, 12 correct. 13 Q. That's the condition. And where it says "Satisfactory", 14 what it means is that the margin line is not immersed? 15 A. Correct, under schedule 1. 16 Q. Under schedule 1? Thank you. 17 A. Floodable length. 18 Q. Schedule 1 of the Rules, the Regulations? 19 A. Of the Regulations. 20 Q. Thank you. 21 A. Whereas the information provided by Naval-Consult is 22 done under schedule 3 of the Regulations. But 23 nevertheless, there should be some similarity. 24 Q. Yes. 25 A. I mentioned that the weights are different, but I also</p>
Page 14	Page 16
<p>1 A. Correct, yes. At the forward end it's -- 2 THE CHAIRMAN: So it's bow-down? 3 A. It's bow-down. 4 THE CHAIRMAN: Although it's got a flooded tank room? 5 A. So I was led to believe, yes. Am I looking at the wrong 6 page? 7 MR MOK: I was looking at page 141. Page 131 is the intact 8 stability, whereas page 141 is damage stability. 9 A. My apologies. Thank you. 10 Q. Can we go back to page 141, please. In that 11 condition -- that is, the damage condition relating to 12 both the steering gear compartment and the tank room -- 13 we have the aft and forward drafts set out at the 14 bottom. 15 A. Yes. 16 Q. Does that look satisfactory? 17 A. Yes, it does. 18 THE CHAIRMAN: So now it's bow-up, stern-down? 19 A. Now it's bow-up, stern-down. 20 MR MOK: Then over the page at 142, you also have the GMT 21 there under the damage condition, I believe, at the 22 bottom. The margin there is slightly different, but in 23 line. It's 1,613 per cent. 24 A. Yes, although I cannot see that it actually tells you 25 the value of the GMT on this page.</p>	<p>1 note that the centres of gravity are different. And the 2 centres of gravity will change the trim, and changing 3 the trims the distance to the margin line, which is one 4 reason why they are not closer. 5 Q. Yes. 6 A. Because one gives me 0.8. The Naval-Consult value is 7 about 0.8 distance to margin line, so that's a margin to 8 the margin line. Whereas my figure is 0.272 in the 9 table. 10 Q. Yes. And actually, the simple point I would like to 11 make here, Dr Armstrong, is if you look at the Trim 12 &amp; Stability Booklet as the beginning point, and your 13 calculation as the end point, the beginning point and 14 the end point, when we look at this particular 15 condition -- that is, both compartments being flooded -- 16 both calculations indicate that the vessel would be all 17 right in the sense in particular that the margin line 18 would not be immersed? 19 A. I agree. 20 Q. That's the point? 21 A. Both of them show that. 22 Q. What I wish to look at next is from the Trim &amp; Stability 23 Booklet, it is some indication, is it not, that the 24 designer, if I may call Naval-Consult the designer, 25 might have in mind -- "might" is what I'm emphasising --</p>

Page 17	Page 19
<p>1 that the design was such that the steering gear 2 compartment and the tank room should be considered as 3 one compartment. I only say "might". It's consistent, 4 should we say, with that understanding? 5 A. Insofar as the heading says "Steering &amp; tank room 6 damage" and the requirement was for any one compartment 7 flooding, then yes, I would agree that you might well 8 have that in mind. 9 Q. Yes. Although I also accept, Dr Armstrong, to be fair, 10 that if they also had in mind the 0.1L rule, the 10 per 11 cent rule, then that indication is not conclusive 12 because even if there was a watertight door, that 13 calculation would still have to be done? 14 A. Indeed. And I presume this is why it was done. 15 Q. Yes. So the upshot of this is while those calculations 16 are some indication that they had in mind that there 17 should be one compartment, at the same time this is not 18 conclusive, because of the 0.1L rule? 19 A. This suggests to me, Mr Mok, that the designer did 20 everything that was required under the regulations in 21 terms of floodable length and damage stability. 22 Q. Right. 23 A. Including the 10 per cent L requirement. 24 Q. Yes. If I may just pause here to just ask you a few 25 questions concerning the 0.1L rule. It's convenient to</p>	<p>1 which may require you to put a bulkhead at the after 2 end, no matter where the transom is. But from a tank 3 room perspective, you may require a bulkhead quite close 4 to the transom. But when you're looking at the steering 5 gear compartment, you then have to consider, in this 6 particular case that it is destroyed by the collision 7 with a length of more than 10 per cent L. But there are 8 then other reasons also for an aft peak bulkhead that we 9 have discussed concerning restricting flooding from 10 penetrations through the hole, such as the rudder stock. 11 Q. Yes. If I may summarise you there. You are talking 12 about two different requirements. One of the 13 requirements is a 0.1L, the purpose of which is to 14 ensure that the bulkhead is not too close to the stern, 15 so that it may get damaged in the case of a possible 16 collision. 17 A. Yes. A hypothetical length of damage of 10 per cent L. 18 Q. Yes. The other requirement that you just referred to is 19 the need for an aft peak bulkhead. For that, you said 20 the reason was to restrict the flooding in the case of, 21 say, a failure of the ceiling relating to the rudder or 22 the propeller, to prevent that flooding from overflowing 23 to the next compartment? 24 A. I actually mentioned three reasons, Mr Mok. 25 Q. All right. I'm sorry about that.</p>
Page 18	Page 20
<p>1 deal with this here before going further. I believe in 2 your evidence, you said that many other jurisdictions 3 accept a one-compartment standard for this type of 4 vessel, referring to Lamma IV. 5 A. (Witness nods). 6 Q. You confirm that? 7 A. Yes. 8 Q. My question is, do many jurisdictions also accept a 0.1L 9 rule for this type of vessel? 10 A. I'm not certain of the answer to that. 11 Q. All right. On the rationale for the rule, do you agree 12 just by way of summary that this is a commonsense 13 requirement in that a bulkhead which is less than 0.1L 14 is regarded as being too short in terms of distance to 15 withstand flooding from a reasonably sized hole? In 16 other words, where there is a collision, if the length 17 between the end of the vessel and the bulkhead is too 18 short, then that bulkhead might also be damaged? 19 A. Yes, but there are more than one reasons for putting 20 an aft peak bulkhead in and making it watertight. One 21 of the reasons is to restrict flooding, of course, from 22 the floodable length point of view. When considering 23 the tank room, you mustn't go over the length of the 24 tank room, the floodable length. 25 In other words, the tank room has a maximum length,</p>	<p>1 A. The third one was that -- let's just consider the tank 2 room in isolation. 3 Q. Yes. 4 A. We have a forward bulkhead against the engine room. The 5 tank room has its own floodable length requirements. 6 Q. Yes. 7 A. If the tank room is flooded, it must not immerse the 8 margin line. 9 Q. Yes. 10 A. This dictates where the after bulkhead is for the tank 11 room. If the aft bulkhead for the tank room is a long 12 way aft, there will be a lot of water in the tank room 13 and the vessel may immerse the margin line. So the tank 14 room has its own floodable length which may well set the 15 bulkhead where it was. 16 Q. Yes. In other words, there are quite a number of 17 parameters which the designers have to have regard to -- 18 A. Indeed. 19 Q. -- and in order to fulfil all of them, he has to 20 carefully design the distance and the length of the 21 individual compartments? 22 A. And indeed the designer should sit down and calculate 23 what is called a floodable length of the ship and use 24 that floodable length information to put the bulkheads 25 where he does. That is the difference between -- if you</p>

Page 21	Page 23
<p>1 like, that's at the beginning of the design. Then what 2 happens at the end of the construction is the 3 manufacturer, the builder, then tests the ship through 4 the inclining experiment and produces a damage stability 5 book to prove that it does actually meet those 6 requirements that were spelt out at the early part. 7 Q. Right. 8 A. So together they work well. I'm glad you produced this, 9 because I had not seen this information before. It 10 suggests to me that the designer did do due diligence 11 and do the floodable length calculation. 12 Q. Thank you for that. Just now, I was referring to the 13 rationale for the 0.1L rule. So I'm not referring to 14 the need for the aft peak bulkhead at this juncture. 15 A. Fine. 16 Q. So for that rationale or for that reason, you agree, do 17 you not, that the subdivision between a small 18 compartment and its adjacent compartment should then be 19 disregarded where the length of the small compartment is 20 less than 0.1L, when calculating the floodable length, 21 so that the assumption there being both might be flooded 22 because of the smallness or narrowness of the bulkhead 23 in between? 24 A. Yes, I agree. That's what the rules require. 25 Q. Yes. Now, that, of course, relates to the calculation</p>	<p>1 it with "one-compartment flooding". 2 Q. Right. 3 Because of the natural consequence of that kind of 4 reasoning and because the consequence is that the two 5 compartments would be flooded, if you didn't cross out 6 the relevant bit in the fax, then the person doing the 7 calculation would have to take the basis as being two 8 compartments being flooded? 9 A. Yes. 10 Q. And because that was considered to be too onerous, then 11 somehow the department decided that -- and I think you 12 would accept that a lot of other jurisdictions also 13 accepted -- there should be one-compartment flooding for 14 that type of vessel? 15 A. I'm not sure about other jurisdictions accepting it for 16 a vessel with such a large number of persons on board. 17 Q. Right. Can we have a quick look at that, because it may 18 assist the Commission on this particular point. 19 I believe there is a comparison table produced by 20 Dr Peter Cheng. If we may have a quick look at that, in 21 his first report. This is the expert bundle. Let me 22 locate this. I think it's page 716. 23 I think what Dr Cheng has done is to compile 24 a comparison table of six jurisdictions, including Hong 25 Kong, and under item 3, "Damage Stability", "HK",</p>
Page 22	Page 24
<p>1 of floodable length. But when it comes to the 2 calculation of damage stability, in other words the 3 concept there being if you take the collision or the 4 damage at any point of the ship or along the side of the 5 ship, you will have to assume, for this case of damage, 6 that the extent of the damage should be no less than 7 0.1L. 8 A. Correct, yes. 9 Q. That's the concept? 10 A. Yes. 11 Q. Right. So therefore normally, if you place the damage 12 at any arbitrary place and you assume the length or the 13 extent of that damage is no less than 0.1L, the 14 consequence of that assumption is that the flooding that 15 would take place would encompass two compartments. 16 Because you take the damage at an arbitrary point, and 17 then you assume the length of the damage to be not less 18 than 0.1L. So if you place it at an arbitrary point, 19 then it could be placed, say, close to a bulkhead, then 20 the consequence would be on that assumption, there would 21 be two compartments being flooded? 22 A. Correct. And there is documentation to show that this 23 was seen as being too onerous a requirement for 24 launches, and I understand was a reason why the fax that 25 we have seen crossed out those requirements and replaced</p>	<p>1 "One-compartment flowing applied", and then UK applies 2 SOLAS with one-compartment flooding. "Singapore: 3 floodable length and one-compartment flooding is to be 4 fulfilled; Australia: one-compartment flooding condition 5 to be fulfilled; Japan: SOLAS", and China, no such 6 requirement. 7 So in summary, one-compartment flooding for UK, 8 Singapore, Australia, Japan and Hong Kong. Does that 9 according with your understanding as well? 10 A. It's fairly close, Mr Mok, yes. I would point out 11 Australia has very recently changed its regulations. 12 Q. Right. 13 A. I'm not sure what they now say. 14 Q. So those requirements, do you agree they are applicable 15 to small craft as opposed to, say, ocean-going vessels? 16 A. I have no information on which to judge that, Mr Mok. 17 Q. Sorry? 18 A. I have no information on which to judge that. This is 19 a table produced by a third party. 20 Q. I understand. But I'm asking for your experience and 21 understanding. 22 THE CHAIRMAN: Before we go any further. Has the provenance 23 of these assertions been provided in the report? 24 MR MOK: I don't believe so, but if the Commission wishes to 25 have it, I think --</p>

Page 25	1 THE CHAIRMAN: Well, obviously. 2 MR MOK: Yes. 3 THE CHAIRMAN: We can't simply accept bare assertions. 4 MR MOK: No. Of course not. So we'll ask him to prepare 5 that. 6 THE CHAIRMAN: Thank you. 7 MR MOK: But from your own knowledge, Dr Armstrong, are you 8 able to say whether or not those requirements in 9 relation to one-compartment flooding are applicable to 10 small craft, or you're not aware of that? 11 A. Yes. I also made the point that it's a commonly 12 accepted criteria, one-compartment flooding. 13 Q. Right. And are you also able to say where it is 14 applicable to small craft, whether or not there is any 15 distinction being made based on the number of passengers 16 on board? 17 A. Yes, there usually is. As you can see on the top line, 18 there are various number of passengers there. 19 SOLAS, by the way, does not allow one-compartment 20 flooding for larger vessels. It's based on something 21 called criteria of service contained within the 22 watertight subdivision calculation. 23 Q. Right. So if we look at item 1, under UK, Singapore and 24 so on, those are the requirements -- not requirements, 25 those are the conditions under which these requirements	Page 27	1 two-compartment flooding rule be applied? Is that 2 the -- 3 A. I can't be specific. I don't know. 4 MR MOK: Mr Chairman, we just have to provide that 5 information. 6 THE CHAIRMAN: Unless it's provided, it's of no assistance. 7 MR MOK: Yes. Thank you. 8 Coming back now to the rationale of the 0.1L. We 9 have just explored the different concepts of the 10 floodable length on the one hand, and also the damage 11 stability. Do you agree that the 0.1L requirement is as 12 applicable to the concept of damage stability and the 13 one-compartment flooding as it is to the concept of 14 floodable length? In other words, where you have 15 a compartment which is too small and where you have 16 damage at or near that particular compartment, the 17 chances are that two rather than one compartment might 18 be involved, so in order to make sense of the 19 one-compartment flooding rule, you also have to use or 20 adopt the 0.1L rule in order to make it work? 21 THE CHAIRMAN: This question has become so long I have no 22 idea what the question is. 23 MR MOK: I will try again. 24 THE CHAIRMAN: Since I hope that you are trying to provide 25 my fellow Commissioner and I with information we can
Page 26	1 have to be complied with? 2 A. Do we know the dates of the regulations that are being 3 quoted for each of these countries? 4 MR MOK: I don't, and that's Mr Chairman's question. We 5 have to provide that. I'm sorry about that. 6 I think the point there in item 1 is this, that if 7 your vessel falls below these particular parameters, 8 then it seems that perhaps even less regulations are 9 applied to them. Would that be correct? Is that the 10 right way to interpret this? 11 A. The table is headed "Damage Stability", and I'm not sure 12 what's included in that broad title. 13 Q. Right. 14 A. It would not be floodable length calculations, for 15 example. 16 Q. Right. But I think maybe I can put the question 17 shortly, which is this: for a vessel with 200-odd 18 passengers on board, are you aware of any rules or 19 regulations in any jurisdiction whose requirement is 20 that two-compartment flooding should be complied with? 21 A. SOLAS, certainly. Which means, in this case -- well, UK 22 and Japan in Dr Cheng's table actually say SOLAS, but 23 one-compartment flooding. 24 Q. Right. So you're saying that now, where you have 25 a vessel with 200 passengers, SOLAS required the	Page 28	1 understand, I'd ask that you try again. 2 MR MOK: Yes. Mr Chairman, I hope that you forgive me, 3 because this is somewhat technical and we are all, 4 I think, struggling a little bit with these concepts. 5 Let me try again, or break it down at least. 6 The 0.1L rule makes sense for the calculation of 7 floodable length? 8 A. Yes. 9 Q. The reason being that if a compartment is too small, 10 chances are that the bulkhead may be damaged in 11 a collision which could then mean that that particular 12 compartment is no longer intact? 13 A. Yes. 14 Q. Right. I'm suggesting that that rationale applies 15 equally to the calculation of damage stability, because 16 if you look at that calculation on the basis of a random 17 hit on the side of the ship to create a hole there, and 18 if the compartment is too small, then again chances are 19 two compartments might be involved instead of one, so to 20 apply the one-compartment flooding rule, it is necessary 21 and indeed important that the 0.1L rule should also be 22 observed? 23 A. Yes, I agree the 0.1L rule should apply equally to 24 watertight subdivision/floodable length, and to damage 25 stability.

Page 29	Page 31
<p>1 Q. Right. So with that, can I invite you to look at 2 paragraph 60 of your report at page 424. The first 3 report. 4 In this paragraph, the big paragraph on page 424, 5 you refer to the deleted part of the fax, which is 6 paragraph 1(3)(a) of schedule 3 of the Regulations. 7 A. (Witness nods). 8 Q. You're referring to that? 9 A. Yes. 10 Q. You have interpreted this in this way. If I may just 11 read after the quotation of the Rule, you say: 12 "This requirement, as stated previously, is 13 recreated in a document headed LN 325 of 1991 and also 14 LS No. 2 to Gazette No. 31/1991 provided by the Marine 15 Department as being the regulations that were used in 16 1995. However this whole paragraph has been struck 17 through and replaced by the words '(one-compartment 18 flooding)'." 19 Then it's the next sentence I wish to draw attention 20 to: 21 "The consequence of this deletion and replacement 22 was that small compartments with a length of less than 23 10%L were considered like any other compartment, and 24 were so treated in the so-called damage stability 25 information booklet."</p>	<p>1 a length of less than 10% L can be ignored, as it is the 2 position of the watertight bulkheads that is important, 3 and they affect the compartments both in front of and 4 behind any small compartments of less than 10%L." 5 A. Which is the point I was trying to make a few minutes 6 ago: the tank room length is also important, and 7 determines where the bulkhead goes. 8 Q. And you have also heard evidence from the Mardep 9 officers that their interpretation is in line with your 10 observation; in other words, that -- 11 A. Some of the Mardep officers, yes. 12 Q. Yes. Some of the Mardep officers' understanding is in 13 line with what you just said; that is, you cannot ignore 14 10 per cent L when you are doing the damage stability 15 calculation? 16 A. Yes. 17 Q. So if I may now come back after this diversion on the 18 0.1L rule, going the back to the plans, if I may. I'd 19 just said that the Trim &amp; Stability Booklet, because it 20 does the calculation on the basis of damaging both the 21 steering gear and the tank room compartments -- 22 THE CHAIRMAN: Are you referring now to the Naval-Consult 23 preliminary estimate? 24 MR MOK: Thank you, yes. I'm referring back to that. 25 -- that is some indication, some indication only,</p>
Page 30	Page 32
<p>1 Dr Armstrong, I understand this sentence to mean 2 that because of the deletion, the 10 per cent L rule was 3 also deleted? That's my understanding of your sentence. 4 Is this what you intended? 5 A. Yes, Mr Mok. You commented that I'd interpreted it this 6 way, but the intention was not to really interpret; it 7 was really to note the dilemma that was created by doing 8 this. 9 Q. Yes. 10 A. So it was merely an observation that could be 11 interpreted by other people, perhaps, in two different 12 ways. 13 Q. In other words, what you are noting there is that as 14 a result of the deletion, there is an ambiguity? 15 A. Yes. 16 Q. The ambiguity being whether or not the 10 per cent L 17 rule should apply when you are doing the damage 18 stability calculation based on one-compartment flooding? 19 A. In my opinion, that is the case. You're probably 20 getting there, Mr Mok, but I say that at the end of 21 paragraph 60, the one you were reading from. 22 Q. You mean on page 425? 23 A. On page 425, yes. 24 Q. Where you say: 25 "It is incorrect to suggest that a compartment with</p>	<p>1 that they possibly had in mind there might not be 2 a watertight bulkhead between the two compartments. 3 That is what I was driving at before. But I also said, 4 Dr Armstrong, that that is not conclusive because of the 5 0.1L rule -- 6 A. Exactly, I understood that. 7 Q. -- which they might also have in mind at the time? 8 A. Yes. 9 Q. But then we also look at other things. For example, we 10 look at the Sections and Bulkheads plan, if I can take 11 you to that now. It's in marine bundle 2, tab 5 at 12 page 205. 13 What I'm inviting you to do, Doctor, is to compare 14 that with the Sections and Bulkheads plans for what they 15 call the sister ship. In fact it's not, but for the 16 sake of simplicity, I'll just call it "the sister ship"; 17 that is, the Eastern District. That plan, for 18 comparison, appears in, I think -- 19 THE CHAIRMAN: Page 198? 20 MR MOK: Thank you. 21 THE CHAIRMAN: I think it begins earlier. Page 194? 22 MR MOK: Thank you very much. Page 198. 23 If we may just look at these two side by side. 24 First of all, can I just draw your attention to one 25 feature of these two plans. Both of them have the</p>



Page 33	Page 35
<p>1 section B-B at the top right-hand corner. 2 A. They do. 3 Q. It's a bit difficult for us to understand, Doctor. Can 4 you explain to us what this particular section is 5 supposed to show? 6 A. My interpretation, sir, is that it's trying to indicate 7 how the corrugated bulkhead is connected to the side 8 shell. 9 Q. Or the bottom shell? 10 A. Or indeed the bottom shell. 11 Q. Yes. Because you see the reference both on the side and 12 at the bottom, the words "bottom or side" -- what is the 13 "longl"? 14 A. "Longitudinal". Although the sketch is incorrect for 15 the bottom longitudinal, but the intent is quite clear. 16 The intent is to fit brackets in order to transfer loads 17 between the bulkhead and the shell. 18 Q. Yes. 19 A. Those brackets, although small, can be a very important 20 feature. 21 Q. And this view is a view from the top of the ship? 22 A. For the side shell, yes. Not for the bottom shell. 23 Q. For the bottom shell, I don't know how one looks at it. 24 A. Lying down, actually, Mr Mok. 25 Q. Well, I think the point I'm making is that this is sort</p>	<p>1 Q. Sorry, where are you referring to now? 2 A. That same diagram on the screen, running along the 3 bottom of the ship, close to the bottom plating -- 4 THE CHAIRMAN: Multiple references to "B"? 5 A. Multiple references to "B". 6 THE CHAIRMAN: Can we put the cursor on that. Down at the 7 bottom. Take the word "only" and go upwards from there. 8 A. Thank you, Mr Chairman. 9 THE CHAIRMAN: That's it. "B" there, "B" there, "B" there, 10 and so on. Is that what you had in mind? 11 A. Yes, sir. 12 MR MOK: Those "B"s, it's a reference to the arrangements on 13 fitting; is that so? 14 A. Those "B"s mean "put a bracket in here to connect the 15 bottom stiffeners, the bottom longitudinals" -- as 16 they're called here -- "to the bulkhead". 17 It's particularly difficult on a corrugated 18 bulkhead, because there are no stiffeners on 19 a corrugated bulkhead to connect brackets to -- there's 20 just bent plate -- and I presume is the reason why they 21 changed the sectional drawing, which is maybe what you 22 are coming to, Mr Mok. 23 Q. Can you explain? I think you will explain better than 24 I do. How did they change the drawing? 25 A. Because of the difficulties of connecting stiffeners</p>
Page 34	Page 36
<p>1 of a general arrangement for this kind of fitting at 2 various places of the ship; that is, where the bulkhead 3 meets the plate? 4 A. Yes. 5 Q. And it applies not only to the side plates, where there 6 is such a meeting place, but it also applies to the 7 bottom plate? 8 A. Correct. 9 Q. So it's a general arrangement and has no particular 10 reference to any particular part of the ship? 11 A. No, I could not agree with that, Mr Mok. 12 Q. Okay. 13 A. It is clearly referring to the bulkhead at frame 1/2. 14 Q. Yes. 15 A. So it's not "any particular place on the ship". It is 16 actually specifically, if you look at the bottom left 17 diagram -- thank you. There. It's actually 18 specifically at the lines that run parallel to the "B-B" 19 mark, a little bit above it and a little bit below it, 20 and there are altogether six locations on the side of 21 the ship. 22 Q. Yes. 23 A. And then presumably a similar arrangement, however that 24 might be interpreted, along the bottom of the ship, 25 where it says "B"; "B" meaning "bracket".</p>	<p>1 that run forward and aft on the ship to a corrugated 2 bulkhead, which is just a flat bulkhead with bends in 3 it, for want of a better description, it is reasonably 4 common practice to put in a standard frame instead, so 5 that you might see on drawing 205, at the bottom left, 6 ignoring the corrugated bulkhead, that this sketch has 7 what is called a frame running around the ship like all 8 the other sections, or similar to the other sections 9 through the ship. 10 It has a transverse -- I'll call it a girder running 11 across the bottom of the ship -- thank you -- and then 12 up the side of the ship, and then across the top. That 13 girder has a flat bar, and you'll see that designated -- 14 on the bottom of the ship, at the top of the girder, it 15 says "65x6FB". That flat bar is just a flat piece of 16 metal 65 mm wide and 6 m deep that runs around the frame 17 around the bottom, at the sides and across the top. 18 That in effect is the structural member that is common 19 to other locations on the ship where there are frames. 20 It's then a fairly simple process of manufacturing 21 to weld in the corrugated bulkhead inside that frame. 22 It's a lot easier to manufacture than what was done with 23 the Eastern District No. 1, I think it was called, where 24 you have to cut the corrugated plate to the exact size 25 and then somehow attach brackets to it. It's</p>

<p style="text-align: right;">Page 37</p> <p>1 a manufacturing procedure that requires a different 2 detail, which is obviously done on this plan. 3 Q. Right. Doctor, let me see if I understand what you just 4 said. It's a bit technical there. 5 First of all, the meaning of "stiffener". 6 A stiffener is protrusions which you stick to the plate, 7 if I can just use layman terms, which are evenly spaced? 8 So they are protrusions perpendicular to the plate, in 9 order to give the plate additional strength; is that 10 correct? 11 A. Broadly speaking, yes. I would emphasise the need to 12 weld them on rather than stick them on, because they 13 need to be an integral part of the plating to be 14 effective. 15 Q. I'm sorry. As I said, I'm using layman's language. 16 A. They are not necessarily equally spaced. They can be 17 whatever space you want. But they're intended to 18 stiffen the plate. 19 Q. Right. And because of this particular protrusion, you 20 may find it difficult sometimes then to also weld the 21 bulkhead onto the plate, because of these, if I may call 22 them, obstacles? 23 A. You have it exactly correct, Mr Mok. It is difficult to 24 then weld, and the usual way of doing that is to cut 25 large openings to fit them over the stiffeners, but then</p>	<p style="text-align: right;">Page 39</p> <p>1 Q. Sorry, where is that? 2 A. I find it odd, Mr Mok, that this is a detail that you 3 would put in. The reason for putting it in, in my mind, 4 is to make the bulkhead watertight. So it seems strange 5 to me to go to all this trouble of changing the drawing 6 to make it easier to make a watertight bulkhead, and 7 then to put an opening in it. 8 Q. I see what you mean. 9 Doctor, I think another reason for changing the 10 design is to make the fixing easier. I know your point 11 about making it more watertight, but I think another 12 reason or rationale for doing that is to make it easier 13 for the attachment to take place; right? 14 A. I'll bow to your expertise, Mr Mok. 15 Q. It's not my expertise, I assure you. I'm struggling 16 with this, as everyone else is. 17 THE CHAIRMAN: Do you agree with the proposition, there's 18 another reason for doing that? 19 A. Yes, I was intending to do that, Mr Chairman. I don't 20 honestly know the answer to that. It's a feature that 21 you see on watertight bulkheads, sir, and I see no 22 reason to do it other than to make a watertight 23 bulkhead. 24 MR MOK: Well, Doctor, to be fair, if let's say you have six 25 bulkheads in the vessels and all need to be fitted to</p>
<p style="text-align: right;">Page 38</p> <p>1 the bulkhead is no longer watertight. 2 Q. Yes. 3 A. So now you have to somehow weld lots of little extra 4 pieces on to make it watertight. 5 Q. Yes. So the solution that was adopted in Lamma IV, as 6 opposed to Eastern District, is to use what you call 7 a flat bar which basically runs along the side and the 8 bottom and the upper part of the hull in order for the 9 bulkhead to be welded onto? 10 A. Yes. 11 Q. So that would simplify the procedure, to eliminate the 12 need to cut through the stiffener in order for that 13 welding to take place? 14 A. Yes. 15 Q. Thank you very much. I think the point that I wish to 16 come to is this, that section B-B -- I think the letter 17 "B", as Mr Chairman noted, is found in a lot of places 18 and not just on this particular drawing. 19 Basically the intention of section B-B is to show 20 how the attachment between the bulkhead and the plate 21 should be done by means of brackets. That's the purpose 22 of the section? 23 A. Yes, and in the section B-B, you can clearly see in the 24 middle of the diagram, and appearing vertical here, the 25 65 by 6 flat bar that we are referring to.</p>	<p style="text-align: right;">Page 40</p> <p>1 the plate, you would want a uniform solution for that 2 fixture to be done? 3 A. And indeed on drawing 205, bulkhead 4 and bulkhead 9 are 4 shown in that same similar fashion, yes. 5 Q. Yes. 6 A. They're manufactured that way. 7 Q. So if that is the chosen method of fixing bulkheads to 8 the plate, it makes sense to apply the same method to 9 all of the bulkheads regardless of whether or not you 10 want that particular bulkhead to be watertight or not? 11 A. I couldn't agree with that, Mr Mok. I would say the 12 easiest way of making bulkhead 1/2, if it wasn't to be 13 watertight, would be just to cut some small holes where 14 the stiffeners were to pass through. It would define 15 the shape that you needed at that section, and it would 16 just be placed there like any other frame. So I think 17 it's extra work that is not needed. 18 Q. I may be wrong, Doctor, but my understanding of the flat 19 bar is that it's a continuous bar which runs along the 20 top, the bottom and the side of the hull; is that 21 correct? 22 A. Correct. But why have it there if you can weld it 23 directly to the shell and deck and bottom plating? 24 Q. Well, we have to ask the designer, don't we. But what 25 I'm suggesting is that it is equally plausible that</p>

Page 41	Page 43
<p>1 because that is the chosen solution, since it is 2 a continuous bar, the designer would have chosen to use 3 the same method for all the bulkheads, regardless of -- 4 THE CHAIRMAN: He's answered that question. He disagrees 5 with you. 6 MR MOK: All right. I'll move on. 7 THE CHAIRMAN: Is that correct, Dr Armstrong? 8 A. That's correct, yes. Thank you. 9 MR MOK: Perhaps I can put the question this way. That 10 solution is applicable to the fixing of bulkhead to the 11 plate, regardless of whether or not it is watertight or 12 not? 13 A. I'm sorry. I'm not sure which one you're referring to. 14 THE CHAIRMAN: Your answer is this is an unnecessary amount 15 of work to go to if you're not going to make the 16 bulkhead watertight. 17 A. Correct. 18 THE CHAIRMAN: You wouldn't do it like this? 19 A. Correct. 20 THE CHAIRMAN: You'd cut through the spacing? 21 A. Correct. 22 MR MOK: Right. And the point I wish to make, Doctor, is 23 that where this section is being drawn as it is, the 24 real intention of that section is to present the method 25 of fixing of bulkhead to the side plate or bottom plate?</p>	<p>1 purpose? 2 A. I disagree, Mr Mok, because if I was the person 3 fabricating this particular part, and I saw the words 4 "watertight bulkhead", I would know it was important not 5 to weld it in such a way that it was left with parts 6 that weren't fully welded and therefore not watertight. 7 Q. So in other words, it tells the builder to be more 8 careful at that particular -- 9 A. And usually a little further, to actually adopt 10 different procedures in welding. 11 Q. Can we now go to the section or the frame at 1/2. 12 A. Is this for Lamma IV? 13 Q. Yes, but in comparison. 14 A. Okay. Thank you. 15 Q. So what the designer did when it came to this particular 16 frame was that he consciously changed the wording from 17 "WT door" to "access opening". 18 Do you see that? 19 A. I see that difference, yes. 20 Q. The other details inside the hole there remain 21 unchanged? 22 A. They do. 23 Q. That seems to be consistent with -- if you read, as 24 I said before, the trim and stability report as some 25 indication that they have in mind the two compartments</p>
Page 42	Page 44
<p>1 That's the purpose of the section B-B? 2 A. The purpose of the section B-B is to make it clear to 3 the person manufacturing this part of the vessel what 4 the designer's intent was. And if he has a number of 5 cut plates of a certain size which are brackets, he 6 needs this information to know where to weld them in. 7 In addition, it provides information to the Marine 8 Department, who are worried about continuity of 9 strength, where the location of brackets transfers 10 strength from a bulkhead in one plane into the side 11 shell or bottom shell in another plane. 12 If the strength is not transferred in an efficient 13 manner, it will be the origin of cracking. And that is 14 a principal reason why the Marine Department need to see 15 these sorts of plans, and indeed I think there is 16 an example on page 205, right in the middle, where 17 frame 4 -- there is a circle with a star. My 18 interpretation of that is that the Marine officer 19 investigating this has needed some change to the feature 20 in order to transfer the strength more effectively. 21 I think that's the interpretation. 22 Q. Right. Thank you for that. In order for this 23 particular section to fulfil that purpose and to show 24 those details, the reference to "WT bulkhead" is a piece 25 of information that is not necessary for this particular</p>	<p>1 as being one, and if you'd also look at this plan with 2 the change to "access opening" without the watertight 3 door being referred to, that indication is consistent 4 with an intention that there may need to be no 5 watertight door at that particular place. Do you agree? 6 It's consistent. I'm not saying conclusive. 7 A. I agree, it is consistent. It's also consistent with 8 10 per cent damage of the steering gear compartment. 9 Q. Well, I might just take up that point a little bit. For 10 that consideration to be taken into account, it doesn't 11 really matter whether or not it is a WT door or 12 an access opening without a WT door, because the 13 calculation would be the same? 14 A. Exactly. 15 Q. So if I may just go back to the question. You said, 16 yes, it is consistent with an intention of having no 17 watertight door there, but it is also consistent with 18 consideration of 0.1L. I'm just suggesting perhaps that 19 the latter consideration is not really that relevant. 20 THE CHAIRMAN: Earlier on in your examination you accepted 21 that it was consistent with the same point that 22 Dr Armstrong has just made. 23 MR MOK: Yes, but the point that Dr Armstrong is now making 24 is the change of the wording here may be because of the 25 0.1L consideration. That's my understanding of his</p>

Page 45	Page 47
<p>1 evidence.</p> <p>2 THE CHAIRMAN: But I understood earlier on, when you started</p> <p>3 this examination, you said that you accepted it.</p> <p>4 "I accept that if they had in mind 0.1L, even if there</p> <p>5 was a watertight door, then the calculation had to be</p> <p>6 done in that way." You accepted that proposition?</p> <p>7 A. I did, yes.</p> <p>8 MR MOK: Yes, but, Mr Chairman, I'm exploring the change in</p> <p>9 wording now. Of course I accept that if you start from</p> <p>10 the consideration of the floodable length calculation,</p> <p>11 it matters not whether or not you have or do not have</p> <p>12 a door. But now I'm exploring the question from</p> <p>13 a different angle, of why there was a change in the</p> <p>14 wording. So what I'm suggesting is that the</p> <p>15 consideration of 0.1L is not relevant to the intention</p> <p>16 of changing the wording, because whether or not you</p> <p>17 change it or not, you still would have calculated the</p> <p>18 floodable length in the same way. That's my point.</p> <p>19 Perhaps I am not making myself clear.</p> <p>20 THE CHAIRMAN: If you think there is merit in the point,</p> <p>21 then pursue it.</p> <p>22 MR MOK: Do you agree, Doctor, that perhaps from the point</p> <p>23 of view of understanding why the change of wording takes</p> <p>24 place, the consideration of the 0.1L rule is not so</p> <p>25 relevant?</p>	<p>1 bulkhead, it is to have an efficient closing appliance."</p> <p>2 A. Thank you.</p> <p>3 MR MOK: That's what you're referring to?</p> <p>4 A. Indeed, and it's in the 1995 Instructions too,</p> <p>5 I believe.</p> <p>6 Q. Right. Whilst we are on this Rule, can I refer you to</p> <p>7 one reference in your report.</p> <p>8 Page 427, paragraph 64. The sentence I'm referring</p> <p>9 to here is after the middle of the page, where you say:</p> <p>10 "The use of the words 'access opening' is not</p> <p>11 helpful, as it does not signify the presence or absence</p> <p>12 of a watertight door. It is noted that the Instructions</p> <p>13 for Survey states 'where any access opening is fitted in</p> <p>14 a watertight bulkhead, it is to have an efficient</p> <p>15 closing appliance'. This would suggest to me that the</p> <p>16 use of the term 'access opening' on a structural drawing</p> <p>17 of a watertight bulkhead is valid terminology, at least</p> <p>18 with regard to the use of the Instructions to which it</p> <p>19 was being built. Under those same Instructions it still</p> <p>20 needs to have an efficient watertight closing</p> <p>21 appliance."</p> <p>22 Do you see that?</p> <p>23 A. I do, yes.</p> <p>24 Q. By saying that, you are not suggesting that the</p> <p>25 designer, when he chose to use the words "access door",</p>
Page 46	Page 48
<p>1 A. I have no knowledge, Mr Mok, on why the wording was</p> <p>2 changed.</p> <p>3 Q. Right.</p> <p>4 A. Even if it was changed, there's no implication that it</p> <p>5 would no longer be watertight. I accept there is no</p> <p>6 need for it to be watertight, but I can't draw</p> <p>7 conclusions that it wasn't watertight just because it</p> <p>8 says "access opening" --</p> <p>9 Q. I understand.</p> <p>10 A. -- because of the regulation which says "access opening</p> <p>11 shall be fitted with watertight doors".</p> <p>12 Q. I think the regulation or the instruction you're</p> <p>13 referring to is paragraph 12(v) --</p> <p>14 A. It would be.</p> <p>15 Q. -- which says that where there is an access opening in</p> <p>16 a watertight bulkhead, it should be fitted with</p> <p>17 a watertight closing appliance.</p> <p>18 A. Perhaps we could look at that regulation.</p> <p>19 Q. Of course.</p> <p>20 THE CHAIRMAN: Is that the Blue Book?</p> <p>21 MR MOK: It's bundle 8.</p> <p>22 A. It's in both books.</p> <p>23 Q. Page 1769.</p> <p>24 THE CHAIRMAN: Yes.</p> <p>25 "When any access opening is fitted in a watertight</p>	<p>1 would have the instruction -- "access opening", sorry,</p> <p>2 that he would have in mind that particular instruction</p> <p>3 in the Blue Book; right? You're not suggesting that?</p> <p>4 A. No, I'm not suggesting that.</p> <p>5 Q. What you are --</p> <p>6 THE CHAIRMAN: I think Dr Armstrong hasn't finished.</p> <p>7 A. Thank you. It seemed to me when I first read "access</p> <p>8 opening", it was not clear what was intended, which is</p> <p>9 why I said "not helpful", but then I referenced to the</p> <p>10 Instructions which actually almost define what an access</p> <p>11 opening is: it needs a watertight door if it's fitted in</p> <p>12 a watertight bulkhead. And I interpreted this as being</p> <p>13 a watertight bulkhead, because the drawing says it is</p> <p>14 a watertight bulkhead. So in that case, the access</p> <p>15 opening was clearly intended to have a watertight door</p> <p>16 on it. If that meant that the drawing was changed in</p> <p>17 order to better comply with statements in the</p> <p>18 instructions, it's beyond my knowledge, but it could</p> <p>19 well be the case.</p> <p>20 Q. Yes. I think what I'm suggesting is there is no</p> <p>21 evidence that that change --</p> <p>22 A. No.</p> <p>23 Q. -- was done, for this reason.</p> <p>24 A. No.</p> <p>25 Q. Doctor, we have heard evidence from Mr John Lim of</p>

Page 49	Page 51
<p>1 Naval-Consult. You've read the transcript of his 2 evidence? 3 A. I have not, sir, no. 4 Q. All right. In that case, I may have to take you to it, 5 or at least a part of it. Can I ask you to please look 6 Day 19. The bit I wish to draw your attention to is 7 page 152. At line 19, the question was: 8 "I think you focused on the words 'access opening'. 9 Answer: Yes. 10 Question: Did that indicate to you that that should 11 be an opening instead of a watertight door? 12 Answer: As what I wrote in my email, that my -- 13 I said my draftsman could be correct at that time, 14 considering that it is a single-compartment flooding. 15 Question: Yes. With that answer, can I ask you to 16 go back to your other email, dated 18 January 2013, at 17 page 4027. This is question 2 on that email. The 18 question was: 19 "Was there a mistake of the draftsman to decide the 20 bulkhead 1/2 as watertight in some of the drawings? 21 In this instance, I would say yes. This could be 22 the result of him modifying existing drawings from 23 a previously built vessel (MV Eastern District No. 1).' 24 Do you see that? 25 Answer: Yes.</p>	<p>1 Question: So, similarly, for example, at the bottom 2 plan on the same drawing; do you see that? 3 Answer: Correct. 4 Question: Sorry, we didn't catch your answer. 5 Answer: Yes. 6 Question: All right. Can we go now to the drawing 7 called Shell Expansion on page 202. 8 Answer: Yes. 9 Question: There is a notation of 'WT bulkhead' 10 where we find the frame 1/2; do you see that? 11 Answer: Yes. 12 Question: Would that be covered by the reference to 13 the mistake in your answer 2 as well? 14 Answer: Yes." 15 This is the first time you've seen this? 16 A. Unfortunately, yes, it is. 17 Q. So it seems that the designer itself is prepared and 18 indeed did admit that there were certain errors because 19 that may explain why there appears to be an unexplained 20 change of wording from "WT door" to "access opening", 21 and would you regard that explanation as being plausible 22 in light of the fact that the trim and stability booklet 23 was done in the way it was? 24 THE CHAIRMAN: I don't think "plausible" is for 25 Dr Armstrong. You might ask him if it's consistent.</p>
Page 50	Page 52
<p>1 Question: Can I ask you, please, to identify which 2 are those drawings that you are referring to? First of 3 all, can we go back to the same drawing at page 205. 4 This time can we look at the top right-hand corner, 5 section B-B. Do you see on section B-B, there's a 6 reference to 'WT bulkhead'? 7 Answer: Yes. 8 Question: Would you consider that to be one of the 9 mistakes referred to in your answer 2 of your email of 10 18 January? 11 Answer: Yes. 12 Question: As it applied to the frame 1/2? 13 Answer: Correct. 14 Question: Another one -- can we go back one page on 15 Profile and Deck. 16 Answer: Yes. 17 Question: There is a reference or there are 18 references, for example, in the drawing marked 19 'Centreline profile', you will see the frame 1/2 bears 20 the notation, if I can read it, of 'corrugated 21 WT bulkhead'; correct? 22 Answer: Yes. 23 Question: Would you also consider that to be a 24 mistake covered by your answer 2? 25 Answer: Yes.</p>	<p>1 MR MOK: If it is consistent, yes, with the Trim &amp; Stability 2 Booklet being done at least partially on the basis that 3 the steering gear and tank room were damaged at the same 4 time, and also by reference to the change of wording, 5 or, if I may say so, deliberate change of wording from 6 "WT door" to "access opening"? 7 A. It is consistent, Mr Mok, yes. I find it a rather 8 astonishing trail that a draftsman would make a really 9 fundamental error. It's a very basic understanding of 10 drawing that if you change something in one view, you 11 change it in all views. 12 Q. I think one thing that can be said of this case is there 13 are a lot of features which may not have been expected 14 in the usual course of events. 15 A. But it's consistent. 16 THE CHAIRMAN: Nevertheless, you'd categorise it as 17 "an astonishing trail that was left behind", and 18 "a fundamental error in drafting", not to change all the 19 drawings to reflect -- 20 A. It's a basic error in drawing. 21 THE CHAIRMAN: I think on that note we'll take our 22 mid-morning break. 20 minutes, please. 23 (11.30 am) 24 (A short break) 25 (11.50 am)</p>

Page 53	Page 55
<p>1 THE CHAIRMAN: Yes, Mr Mok. 2 MR MOK: Thank you. 3 Dr Armstrong, I now come to a different table in 4 your second supplemental report at page 929, please. 5 This table at the bottom shows the condition where 6 the engine room and the tank room are both flooded. 7 A. Correct. 8 Q. And still we are in 1996, and we will see there with the 9 watertight door, 0.378, "Satisfactory"; right? 10 A. Correct. 11 Q. What that means is it is satisfactory in the sense that 12 the margin line would not be immersed? 13 A. With the vessel on level heel, correct, with no list. 14 Q. Yes. I think earlier on, you did explain the two 15 concepts of margin line as between floodable length and 16 stability calculation -- 17 A. Yes. 18 Q. -- and I think you said the difference is where there is 19 some sort of heel being taken into account, and in that 20 case there would be a difference? 21 A. Correct. 22 Q. But assuming that there's even heel between the left and 23 the right side, there would be no difference? 24 A. Correct. 25 Q. The second line there shows that where the engine room</p>	<p>1 floodable length either by reference to the engine room 2 alone, or by reference to the tank room and the steering 3 gear compartment together. In either of those 4 calculations, the calculation would not fail, would it? 5 A. I understand where you're coming from, Mr Mok. Maybe 6 I should rephrase what I said and say that "Fail" means 7 "Fail to keep the margin line above the water level". 8 Q. What does that mean? Does that mean it's immersed the 9 margin line, or something different? 10 A. It means it's immersed the margin line, yes. 11 Q. Well, I certainly understand if you calculate it on the 12 basis of all three compartments together. That would 13 certainly immerse the margin line, if not the whole 14 ship. 15 A. Yes, that's what it's saying. 16 THE CHAIRMAN: Well, it's sunk, so the margin line is 17 definitely immersed, is it not? 18 MR MOK: Yes, Mr Chairman. I do understand that. I'm just 19 having a little difficulty if one were to apply the 20 one-compartment flooding. 21 THE CHAIRMAN: That's not what Dr Armstrong was doing. He's 22 corrected that. 23 MR MOK: Right. That's what I was seeking to clarify, 24 Mr Chairman. 25 I wish now, Doctor, to come to the question of the</p>
Page 54	Page 56
<p>1 and the tank room flooded, but with no watertight door, 2 that scenario basically means that all three 3 compartments are flooded? 4 A. Correct. 5 Q. And the vessel would sink? 6 A. If there is no buoyancy at the back end, the vessel 7 would sink. 8 Q. Right. But just pausing there. Since we apply the 0.1L 9 formula, so even with that second scenario -- that is, 10 the boat sinking or the ship sinking -- the margin line 11 would still be complied with in that scenario? Sorry, 12 I'll come again. I'm wrong. It wouldn't be. 13 Perhaps the question is this. Where you say under 14 the second scenario, all three compartments being 15 flooded, the vessel sinks, and then you use the word 16 "Fail". Can I ask you what that word means in this 17 context? 18 A. Yes. My apologies for not being more explicit. It 19 merely refers to whether the margin line is immersed or 20 not in accordance with the regulations. So it's meant 21 to say "Fails in accordance with the regulations". 22 Schedule 1, in this case. 23 Q. But that is what I do not understand. Because we use 24 the one-compartment flooding rule. So when we apply the 25 one-compartment flooding rule, you are calculating the</p>	<p>1 aft peak bulkhead. If we may just look at the history 2 of this very, very briefly. First of all, looking at 3 the Blue Book, which we have already. But can we look 4 at it once again. Bundle 8, page 1769. It's 5 instruction 12(iv). It says: 6 "In all double-ended launches and launches over 7 70 feet long peak bulkheads will be required at both 8 ends." 9 A. Yes. 10 Q. There is no stipulation here of any distance in relation 11 to an aft peak bulkhead, where it should be located in 12 reference to the stern? 13 A. Correct. There is no reference to that. 14 Q. The second reference I would like to make is to the -- 15 then we come to the 1995 position. That is the same 16 bundle, page 1821. This is instruction 5.3 of 17 chapter II of those instructions. It reads: 18 "In all double-ended vessels and vessels over 19 21.3 metres ..." 20 That's approximately 70 feet, right? 21 A. Yes. 22 Q. "... in length, peak bulkheads will be required at both 23 ends." 24 A. Correct, yes. 25 Q. Again, in the 1995 position, there is no mention of any</p>

Page 57	Page 59
<p>1 requirement of any stipulated minimum or maximum 2 distance where the aft peak bulkhead should be located? 3 A. Correct. 4 Q. If I may now go to the next chronologically, no to 5 Cap 369AM. It's in the legislation bundle. 6 Regulation 7. 7 THE CHAIRMAN: The Ordinance's name being? 8 MR MOK: It's a mouthful. It's called the Merchant Shipping 9 (Safety) (Passenger Ship Construction and Survey) (Ships 10 Built On or After 1 September 1984) Regulations. 11 THE CHAIRMAN: Thank you. Where do we find it? 12 MR MOK: It's tab 11 of the legislation bundle. 13 These regulations, as we understand them, apply only 14 to the ocean-going vessels; is that your understanding? 15 A. That's my understanding. 16 Q. In regulation 7, if I can just take you first of all to 17 7(1), which refers to the collision bulkhead -- 18 THE CHAIRMAN: Is there some provision that mandates that 19 they only apply to ocean-going vessels? 20 MR MOK: I think that's an exercise which my learned friend 21 Mr Shieh -- 22 THE CHAIRMAN: Yes, that's what revived my memory. This was 23 going to be sourced. Has that been achieved yet? 24 MR SHIEH: It has. Copies will be made available. 25 THE CHAIRMAN: Thank you.</p>	<p>1 after peak bulkhead and with watertight bulkheads 2 dividing the space appropriated to the main and 3 auxiliary propelling machinery and boilers, if any, from 4 other spaces. Such bulkheads shall be watertight up to 5 the bulkhead deck, provided that the after peak bulkhead 6 may be stopped below the bulkhead deck if the safety of 7 the ship as regards subdivision is not thereby 8 impaired." 9 A. Correct. 10 Q. Just pausing there. The reference to requiring 11 watertight bulkheads to divide, say, this machinery 12 space, would it be correct to say that one of the 13 purposes of that requirement is so that where there is 14 a fire or smoke or noxious gas coming from that 15 particular compartment, it would not then affect other 16 compartments? 17 A. Yes, Mr Mok, that's what I indicated yesterday, I think. 18 Q. Yes, you did. Then going back to the after peak 19 bulkhead -- this is just another name for aft peak 20 bulkhead, correct? 21 A. Correct. 22 Q. What I wish to note is that in contrast to 23 subparagraph (1), there is no specific requirement as to 24 the maximum or minimum distance, in relation to the 25 stern, as to where this particular bulkhead must be</p>
Page 58	Page 60
<p>1 Just give me a moment, please. Thank you. 2 MR MOK: Regulation 7(1) only applies to collision 3 bulkheads, and it's the same as a fore peak bulkhead, 4 is it? 5 A. Correct. 6 Q. If I can just read a part of that. It says: 7 "Every ship shall be provided with a collision 8 bulkhead which shall be watertight up to the bulkhead 9 deck and shall be fitted at a distance from the ship's 10 forward perpendicular [or] not less than 5 per cent of 11 the length of the ship and not more than 3.0 metres plus 12 5 per cent of such length." 13 Just pausing there. 14 A. Yes, Mr Mok. I think you said "or not less", but it 15 says "of not less". 16 Q. I'm sorry. But what we see here, and if one goes on to 17 read the rest of this rule, is that it does provide 18 a very specific distance, a minimum and a maximum 19 distance of where this particular bulkhead must be 20 located. 21 A. Yes, Mr Mok. It's identical to SOLAS. 22 Q. Yes, which I will come to. But in comparison, the 23 reference to what they call the after peak bulkhead in 24 subparagraph (4), if I can read that now: 25 "Every such ship shall be provided with a watertight</p>	<p>1 located? 2 A. I agree. I believe that is because you're unlikely to 3 have a collision going astern. 4 Q. Sorry, I didn't catch that. 5 A. I believe that is because the collision bulkhead is 6 specified where it is due to many years of experience on 7 how far back damage would occur in a collision scenario. 8 Q. Yes. 9 A. But that would not apply to a vessel going astern, 10 because they seldom have collisions going astern. Most 11 vessels are going forward. 12 Q. Right. We now come to SOLAS, which is in the expert 13 bundle starting at page 956-6. At page 956-7, we have 14 regulation 10. Regulation 10 (1) I believe mirrors our 15 regulation 7(1)? 16 A. I believe so. 17 Q. So it provides, in short, for a minimum and maximum 18 distance between the fore peak or collision bulkhead to 19 the forward perpendicular of the ship? 20 A. Correct. 21 Q. Yes. Again moving to, now, paragraph 7 of 22 regulation 10, it says: 23 "An after peak bulkhead, and bulkheads dividing the 24 machinery space, as defined in regulation 2, from the 25 cargo and passenger spaces forward and aft, shall also</p>

Page 61	Page 63
<p>1 be fitted and made watertight up to the bulkhead deck." 2 So that mirrors our regulation 7(4)? 3 A. Correct. 4 Q. Again, even in SOLAS you see that contrast there: there 5 is a specific requirement for distancing, whereas there 6 is no requirement in relation to distancing for after 7 peak bulkheads? 8 A. Correct. 9 Q. You mentioned in your evidence that in your opinion, the 10 after peak bulkhead should be -- and it's not a fixed 11 thing, I think -- less than 0.1L; that's your opinion? 12 A. I think I expressed opinion of about 10 per cent. 13 Q. About 10 per cent? 14 A. Yes. 15 Q. I think you also mentioned maybe about 5 to 7 is the 16 norm? 17 A. I can't recall if I was talking about the aft peak at 18 that stage, but about -- 19 Q. Right. It doesn't matter. 20 A. I remember saying "about 10 per cent" at some stage. 21 Q. It doesn't matter. When you refer to that indication of 22 length, you were actually talking about a practice, not 23 a rule or a requirement anywhere? 24 A. Correct. I know of no such rule. 25 Q. So if we may put that comment in context, you were</p>	<p>1 A. This vessel was in fact built by a subsidiary of Austal 2 called Image Marine. It was one of I think five 3 vessels -- four vessels which were built for the 4 Government of Malta as an inshore patrol vessel. I was 5 not involved in the design or construction of this 6 vessel, but I was asked for help in positioning the aft 7 peak bulkhead, as coincidence would have it. 8 I would refer you to the next page. Maybe first of 9 all, no, if we could scroll down a little on this page, 10 please. 11 The very bottom picture is a view looking aft on the 12 vessel. You will see there is no deck, or appears to be 13 no deck. But there are doors at the after end. The 14 reason for this, which might become more apparent when 15 we turn over the page, is that there are rails, which 16 you can see in the photograph. There are some rails 17 running away from the camera on which what we call 18 a daughter boat, a rigid inflatable, would be located. 19 And the doors would open and the boat could be launched 20 or recovered. 21 So there is a sloping deck, sloping in both 22 longitudinal and transverse sense. So there is very 23 little volume in the back end of the vessel. 24 If we can then scroll down to the drawing it may 25 make it more clear. The drawing at the bottom, or in</p>
Page 62	Page 64
<p>1 talking about -- what you are saying is that in many 2 cases where you would find the aft peak bulkhead, that 3 would be located round about the area of 0.1L from the 4 stern? 5 A. I would expect it to be less than. 6 Q. Less than? 7 A. Yes. About 10 or less than. 8 Q. And certainly no more? 9 A. Oh, I wouldn't say "certainly", because there are always 10 exceptions. 11 Q. I see. Right. What would be those exceptions? 12 A. May I refer to the particular examples that you provided 13 last night? 14 Q. Thank you. I was trying to understand them myself. 15 A. I'm sorry, I don't have a page number. 16 Q. I thought you might be familiar with those. It's 17 page 4057 of the marine bundle 11. 18 First of all, Dr Armstrong, Austal is the company 19 that you're working for now? 20 A. No, sir. 21 Q. No longer. Sorry. You used to work for? 22 A. I worked for 12, almost 13 years, yes. 23 Q. As the chief scientist? 24 A. Correct. 25 Q. So, yes. What were you going to refer to?</p>	<p>1 the middle now, shows just above the propeller on 2 an angle what is meant to be a rubber inflatable boat 3 with an outboard motor on the back. So you can see 4 there is very little volume of the vessel underneath 5 that rubber boat which is launched out the back. But 6 there is buoyancy provided at the sides for floodable 7 length reasons. 8 On the bottom diagram, you can see the engine room 9 has an aft bulkhead which appears to be the aft peak 10 bulkhead as well. It is not quite, because the aft peak 11 bulkhead on this vessel was stepped. It's not only the 12 bulkhead that runs across the ship to the left of the 13 generators -- just above where the cursor is now -- and 14 you'll see there is a door on the centreline. But then 15 also there is a bulkhead behind that which does not run 16 right across. 17 If you scroll up to the drawing at the top -- sorry, 18 the second drawing -- you can see in the profile that 19 there is very little volume below the boat, because the 20 sloping deck is below the boat. In fact, there's not 21 even room to stand up there; it's just a crawl space. 22 So the volume of the aft peak was deemed to be 23 sufficient to allow us to move the bulkhead further 24 forward, and I believe, Mr Mok, it's at something like 25 14 per cent of the length.</p>



Page 65	Page 67
<p>1 This was proposed to the surveyor representing the 2 Government of Malta, and that particular gentleman said, 3 "Well, the rules don't apply to ships of war in any 4 case", which you will find in the beginning of SOLAS is 5 correct. So he has the authority to put the bulkhead 6 where he likes. So in this case it was moved forward, 7 but for very good reasons. 8 Q. Can you help us with the configuration of this bulkhead. 9 Since it doesn't extend all the way to the sides, how is 10 it made watertight there? 11 A. Thank you. It is made watertight by -- it's difficult 12 to explain without control of the cursor. Having 13 effectively five bulkheads, the major one running fore 14 and -- sorry -- 15 THE CHAIRMAN: Are you looking at the lower deck here? 16 A. I'm looking at the lower deck plan, thank you, sir. The 17 bulkhead running across the ship, behind the generators, 18 at the after end of the engine room. 19 THE CHAIRMAN: Left side of the screen. 20 A. Thank you. That one. 21 If you then move up a small distance. If you now go 22 aft on the ship, that line represents a continuity of 23 the aft peak bulkhead, but moving longitudinally in this 24 case. And then if you go up with the cursor; that 25 continues to be the aft peak bulkhead. And then turn to</p>	<p>1 A. Yes, correct. I thought that may have been your 2 question. 3 Q. Anyway, is that an example of an exception to what you 4 call the general practice of less than 0.1L? 5 A. I'm not sure "exception" is the correct word, Mr Mok, 6 because it's not, as you have indicated, a strict 7 requirement. But it's an example of where it is more 8 than my rule of thumb. 9 Q. Right. And the other one -- 10 A. The other one is a vessel -- 11 Q. -- at page 4059. 12 A. I would also comment, that previous vessel was not 13 a passenger vessel. It was a Government craft and 14 classed as a craft of war. 15 This vessel (indicates page 4059) is a passenger 16 vessel, up to 36 passengers. It was designed for 17 operation in the waters of Western Australia. It was 18 also built by Image Marine, a subdivision of Austal. 19 I was not involved in the design of this craft either, 20 but I was very much involved in the watertight door 21 issue. 22 If you scroll down to the bottom -- you may note in 23 the top picture -- I think the only relevance of the top 24 picture, apart from the beautiful scenery, is the fact 25 it has a helicopter. You can also see the sloping aft</p>
Page 66	Page 68
<p>1 the right with the cursor; that is also the aft peak 2 bulkhead. And then move up; that is also the aft peak 3 bulkhead. So the aft peak bulkhead is created by five 4 bulkheads which are consecutively, as we've just gone 5 through, transverse, longitudinal, transverse, 6 longitudinal, transverse. 7 The access to the after peak space at the sides of 8 the ship are created through watertight manholes which 9 you can probably see on both views here as a dotted line 10 in the lower view, and a more solid construction in the 11 middle view. 12 MR MOK: Just out of interest, these bulkheads extended from 13 the bottom to the deck; is that right? It seals the 14 vertical space? 15 A. I can't remember, but almost certainly they would have 16 done. 17 Q. Thank you very much. And the other one, maybe you would 18 like to comment to. 19 A. Yes. I think it was a very good example, Mr Mok. 20 Someone -- 21 Q. Just pausing there. I think you were citing this as 22 an example of an exception to what you said was the 23 general practice? 24 A. I think you were citing it, Mr Mok, in the first place. 25 Q. I think you pre-empted me.</p>	<p>1 deck at the after end. So again, it's a design with 2 very little volume at the back end of the boat. 3 If you can scroll down to the bottom drawings. 4 Thank you. 5 You can see in the very bottom diagram that the aft 6 peak bulkhead is quite a long way forward. 7 Q. Where do we see that? 8 A. It's the solid black line running on the left-hand side 9 of the page. That's the aft peak bulkhead. 10 Q. Is that watertight? Because I am looking at the -- 11 A. I might come to that, Mr Mok. 12 Q. Thank you. 13 A. I think this, from memory, is somewhere between 14 and 14 15 per cent from the after end. This is watertight. 15 The door was a hinged watertight door. It was accepted 16 by the surveyor doing the plans, and the vessel was 17 constructed and a certificate was granted. The volume 18 of the aft peak is not as large as it might appear here 19 because if you look at the sketch above the one we've 20 just been considering, you can see there are stairs 21 leading down and there is not a lot of volume in this 22 aft space. 23 The boats above and up on the next deck were 24 launched over the stern, so it was made sloping in order 25 to make it easier to launch them.</p>

Page 69	Page 71
<p>1 However, this particular vessel certificate was 2 rescinded because the authorities decided that the 3 hinged watertight door was not adequate and did not meet 4 the regulation. As a result of that, they demanded that 5 the door be replaced by a sliding watertight door with 6 remote operation from the wheelhouse and with alarms in 7 the wheelhouse indicating whether it was open or closed, 8 and also alarms locally so that anybody passing through 9 would know if it was about to be closed. They also 10 required a label to be put on the door saying "To be 11 kept closed at sea at all times".</p> <p>12 It was generally understood that nobody was allowed 13 through that door when the vessel was at sea; only when 14 it was at anchor. I think operationally that caused 15 some particular issues.</p> <p>16 I then became involved because I was asked to 17 negotiate with the authorities some way around this 18 dilemma of them wanting the door to be sliding, which is 19 extremely difficult to fit, very expensive, very heavy 20 item.</p> <p>21 A process of that negotiation, I was able to prove 22 to the satisfaction of the Australian Maritime Safety 23 Authority that the vessel could stay as hinged but it 24 did need remote operation from the wheelhouse, it did 25 need the indicators I've previously suggested, and</p>	<p>1 the correct way, if the aft peak flooded, then it would 2 close the door. I'm not sure how successful that was.</p> <p>3 MR MOK: Just one small detail. Why is it that there are 4 the letters "WTD" in relation to the next bulkhead, 5 whilst there are no letters like this for the after peak 6 bulkhead? Is there any particular reason, or just 7 an omission?</p> <p>8 A. I do not know, Mr Mok.</p> <p>9 Q. "WTD" I assume refers to "watertight door"; correct?</p> <p>10 A. Yes, almost certainly.</p> <p>11 Q. Yes.</p> <p>12 A. I can assure you that the aft peak bulkhead was indeed 13 watertight.</p> <p>14 Q. Thank you.</p> <p>15 A. I did actually refer to this particular vessel in 16 evidence about three days ago, but I did not name it.</p> <p>17 Q. So now you've given a complete explanation of this. 18 So the function of an aft peak bulkhead, I think as 19 you explained, is to prevent the spillage of floodwater 20 from the areas which house the propeller shaft and/or 21 the rudders, to other parts of the hull?</p> <p>22 A. It is one function, yes.</p> <p>23 Q. It's one function. What are the other functions as 24 well?</p> <p>25 A. I did talk at some length, Mr Mok, about the origins of</p>
Page 70	Page 72
<p>1 alarms locally. And the rule was then that it should 2 not be used at sea.</p> <p>3 That submission was based on the volume of the after 4 space, and proving that if it was flooded through 5 failure of the rudder stocks, it would not -- and also 6 of course watertight subdivision requirements, the 7 vessel would remain afloat.</p> <p>8 Q. So it seems that what you are saying is that as 9 originally designed, that was not to be a watertight 10 bulkhead, but this was challenged?</p> <p>11 A. It wasn't designed to be -- it was always designed to be 12 a watertight bulkhead.</p> <p>13 Q. Right.</p> <p>14 A. It had a hinged watertight door on it.</p> <p>15 THE CHAIRMAN: Rather than a sliding door?</p> <p>16 A. Rather than a sliding door.</p> <p>17 THE CHAIRMAN: Which is the desired option?</p> <p>18 A. Correct. And I should have said, because the Australian 19 Maritime Authority thought this was too large a space at 20 the after end, they were saying they wanted a sliding 21 watertight door.</p> <p>22 THE CHAIRMAN: That's because you can close a sliding door 23 against an ingress of water but you can't do the same 24 with a hinged door?</p> <p>25 A. That is correct. I argued back that if it was hinged</p>	<p>1 the need for an aft peak bulkhead on wooden ships.</p> <p>2 Q. Yes, but in modern times.</p> <p>3 A. In history.</p> <p>4 Q. Yes. In modern times.</p> <p>5 A. Of course, there are still many wooden craft around with 6 a similar problem, but that's not relevant to this 7 particular case.</p> <p>8 Q. Right.</p> <p>9 A. The main requirement is still for most vessels where the 10 propeller shafts go through the bulkhead, and 11 particularly on single-screw ships.</p> <p>12 On neither of the examples do the shafts, from what 13 I remember, go through the bulkhead.</p> <p>14 Q. Right. In a case where the propeller shaft and the 15 rudders are located close together, then of course the 16 aft peak compartment enclosing them may be of 17 a relatively small volume, because those two items which 18 you mentioned in your report are close together?</p> <p>19 A. Yes.</p> <p>20 Q. But there are some cases such as the Lamma IV where the 21 propeller shaft and the rudders are located further 22 apart from each other. Would I be correct in saying 23 that there is no rule to determine in that kind of 24 situation whether they must be kept in two separate 25 watertight compartments or a single one? Are there any</p>

Page 73	Page 75
<p>1 rules?</p> <p>2 A. No, there are no rules. I have -- if I may, Mr Mok.</p> <p>3 There is another reason for the aft peak bulkhead which</p> <p>4 was particularly relevant for the example we've just</p> <p>5 been talking about.</p> <p>6 Q. Which one are you referring to?</p> <p>7 A. I'm referring to the ship called True North, the</p> <p>8 Austal 35.</p> <p>9 Q. The second one?</p> <p>10 A. The second one. One of the difficulties the authorities</p> <p>11 had with accepting the vessel as it was was that this</p> <p>12 vessel operated in relatively shallow water because it</p> <p>13 wanted to take passengers close to the shore. By</p> <p>14 "relatively shallow water", I mean something less than</p> <p>15 15 metres or so. It was seen as a risk that this boat</p> <p>16 may run into shallow water and thereby push the</p> <p>17 propellers or the rudders up through the bottom plating</p> <p>18 and flood the aft peak.</p> <p>19 You can see probably in the next sketch down that</p> <p>20 there is a skeg -- sorry, you need to go up a little.</p> <p>21 Thank you. Underneath the engines, there is a structure</p> <p>22 a sort of triangular structure -- if you can go up one.</p> <p>23 Underneath the engines, there is a structure under the</p> <p>24 vessel which is intended to protect the propellers and</p> <p>25 the rudders from grounding. But nevertheless it was</p>	<p>1 Q. Right. Perhaps you can help us with this, on this</p> <p>2 point. If I may just locate what I was going to refer</p> <p>3 to.</p> <p>4 A. I've recalled another comment from the survey authority</p> <p>5 on this craft also, Mr Mok: that because the vessel had</p> <p>6 a helicopter and operated at all times within a few</p> <p>7 kilometres of shore, that this was seen as</p> <p>8 an alternative rescue means, in case of incident. But</p> <p>9 not relevant to Lamma IV.</p> <p>10 Q. Yes.</p> <p>11 A. Just part of the argument to allow the aft peak bulkhead</p> <p>12 to be moved.</p> <p>13 Q. Yes. What I have in mind is regulation 7(5),</p> <p>14 legislation bundle --</p> <p>15 THE CHAIRMAN: Of which regulations?</p> <p>16 MR MOK: The one with the long name. It's --</p> <p>17 THE CHAIRMAN: Cap 369?</p> <p>18 MR MOK: 369AM.</p> <p>19 THE CHAIRMAN: Thank you.</p> <p>20 MR MOK: I think it's tab 8, if I am not wrong, of</p> <p>21 legislation 2.</p> <p>22 A. Tab 11, I think.</p> <p>23 Q. Tab 11, sorry.</p> <p>24 THE CHAIRMAN: Which regulation?</p> <p>25 MR MOK: Regulation 7(5), which we have not yet looked at.</p>
<p>Page 74</p> <p>1 felt -- you can see the rudder is supported at the</p> <p>2 bottom by this structural part of the boat. Underneath</p> <p>3 the rudder. Thank you.</p> <p>4 That is the rudder, and underneath there is a rudder</p> <p>5 bearing carried by some structure. It was felt that if</p> <p>6 this boat went aground, there was a real risk of pushing</p> <p>7 the rudder up through the hull and causing leaks.</p> <p>8 Because it's also twin-screw, it was seen there was</p> <p>9 a possibility of the propeller blades being pushed</p> <p>10 through the shell plating.</p> <p>11 I think that argument still applies to something</p> <p>12 like Lamma IV, if she had gone aground.</p> <p>13 Q. So perhaps what you are saying is this, that sometimes,</p> <p>14 because of the configuration of the vessel in question,</p> <p>15 you may have to have some special device to protect the</p> <p>16 rudder area or the propeller area?</p> <p>17 A. I'm suggesting that that special device would be called</p> <p>18 an aft peak bulkhead, Mr Mok.</p> <p>19 Q. Sorry, which part are you referring to now?</p> <p>20 A. I'm suggesting that if you flood due to damage of the</p> <p>21 shell plating aft, then you need an aft peak bulkhead to</p> <p>22 restrict the level of flooding. I was not intending to</p> <p>23 suggest you could protect it with guards underneath.</p> <p>24 Yes, you can do that to some extent, but there is still</p> <p>25 a risk of penetrating the aft hull.</p>	<p>Page 76</p> <p>1 "The stern gland of every such ship ..."</p> <p>2 Can you explain to us what a stern gland is?</p> <p>3 A. I will attempt to. It is a feature which usually</p> <p>4 includes a seal such that where the shaft, the propeller</p> <p>5 shaft passes through the shell of the ship, water does</p> <p>6 not leak in around the shaft. It's usually adjustable</p> <p>7 and can be tightened up in case of leakage.</p> <p>8 Q. Is that the same as the mechanical sealing that you were</p> <p>9 referring to in your report, or a different thing?</p> <p>10 A. Essentially, yes, it's the same.</p> <p>11 Q. All right. So:</p> <p>12 "The stern gland of every such ship shall be</p> <p>13 situated in a watertight shaft tunnel or other</p> <p>14 watertight space separate from the stern tube</p> <p>15 compartment and of such a volume that if the tunnel or</p> <p>16 space is flooded the margin line will not be submerged.</p> <p>17 The stern tube shall be enclosed in a watertight</p> <p>18 compartment, the volume of which shall be the smallest</p> <p>19 compatible with the proper design of the ship."</p> <p>20 I think we need a little bit of help here. Can you</p> <p>21 explain this rule?</p> <p>22 A. The paragraph is a reflection of what is in SOLAS.</p> <p>23 Q. Regulation 10?</p> <p>24 A. Yes, regulation 10 of SOLAS. 10 or 12?</p> <p>25 Q. 10.</p>

Page 77	Page 79
<p>1 A. And really only applies to large vessels with a single 2 screw, which would have usually a propeller shaft 3 running from an engine which may be well forward, maybe 4 the middle of the ship, running through what is called 5 a shaft tunnel, which is an enclosed small corridor in 6 which is located the propeller shaft. Because this 7 could be quite long, as I say -- when these regulations 8 were formulated, it was common to have the engine room 9 in the middle of the ship. These days, most engine 10 rooms are in the after part of a ship. So I find it to 11 be a rather archaic paragraph with regard to modern 12 design. But the intention is that the stern gland is 13 a weakness through which water can leak and you need the 14 smallest volume possible, compatible with a proper 15 design of a ship.</p> <p>16 Q. Yes. It does say "Every such ship" -- 17 A. Yes. 18 Q. That seems to be a requirement across the board? 19 A. Except for the first sentence, I think. 20 Q. Sorry? 21 A. Except for the first subparagraph, 7(1), which says 22 "Every ship". 23 Q. I see. And I'm just cross-checking the SOLAS rule to 24 see whether or not it is worded in the same way. 25 Perhaps we can take a look at it, Mr Chairman, if</p>	<p>1 Would you agree with that? 2 A. Yes. Mr Mok, I understand what you're suggesting. I'm 3 sure we're all aware that this regulation 7 does not 4 apply under the instructions. It is for ocean-going 5 ships. 6 Q. Correct. 7 A. So it can only be used for guidance in that particular 8 case, and I'm sure was done so by the surveyors at the 9 time. I'm unable to say how "moderate" or "small" might 10 be interpreted in the case of a small ship. 11 Q. May I suggest -- 12 A. Volume -- sorry, I was pausing because I was thinking. 13 Volume is related, of course, to the distance of the 14 bulkhead from the transom. Does that answer your 15 question? 16 Q. Well, I may be wrong, but what I would wish to suggest 17 is that it is defined by volume because that particular 18 feature may not necessarily be in the norm of 19 a bulkhead. It may be in the form of, say, a box-shape 20 configuration. 21 A. Absolutely, Mr Mok, and the two examples we've just 22 talked about from the Austal shipyard are examples where 23 the volume was minimised even though the bulkhead was a 24 little further forward than normal due to the fact that 25 the deck was sloped.</p>
<p>Page 78</p> <p>1 you don't mind. It is in the expert bundle, page 956-8. 2 THE CHAIRMAN: Yes. 3 MR MOK: Perhaps I can just read it out: 4 "In all cases stern tubes shall be enclosed in 5 watertight spaces of moderate volume. The stern gland 6 shall be situated in a watertight shaft tunnel or other 7 watertight space separate from the stern tube 8 compartment and of such volume that, if flooded by 9 leakage through the stern gland, the margin line will 10 not be submerged." 11 This particular rule seems to cater for the function 12 or the main function that you just explained to us, 13 namely to seal that area where you have the propeller 14 shaft, to prevent flooding in that area from 15 overspilling to other areas? 16 A. Yes, sir. 17 Q. Also under this rule there are requirements, for 18 example, as to the volume of this particular space. In 19 one case, in our case, it should be smallest. In the 20 case of SOLAS, it should be a space of moderate volume. 21 A. Yes. I'm not sure if that defines it very well, but -- 22 Q. It doesn't. But the point I'm seeking to make here is 23 that there is a specific rule concerning this particular 24 function, and even for this particular function, that is 25 defined by volume instead of by distance from the stern.</p>	<p>Page 80</p> <p>1 Q. And in order to serve this function, that volume, 2 whatever structure you use, either in the form of 3 a bulkhead or in the form of a box, needs to be kept 4 within a certain size so that the water to be contained 5 in that box or compartment should be contained? 6 A. Correct, yes. 7 Q. And that is why, where you are talking about the 8 protection of the other space from flooding, from this 9 particular area, it's not very helpful to talk about 10 distance from the stern; it is more helpful to talk 11 about volume, because of the different variety which you 12 may use to serve this function? 13 A. Yes, although that distance and volume are related. 14 Q. But the distance is only relevant if you have a bulkhead 15 structure? 16 A. Correct. 17 Q. And the volume is general, because it applies to all 18 structures? 19 A. If you could adequately put boxes around the areas that 20 were seen as a risk, for example the stern glands, the 21 propeller shafts and the rudders, then that could be 22 done locally, and you may be able to put the aft peak 23 bulkhead further forward. 24 Q. And one of the two vessels that you just explained to us 25 gives to us a very good example because there, if we</p>

Page 81	Page 83
<p>1 recall correctly, there is a structure surrounding the 2 rudder on the one hand and also another structure 3 surrounding the propeller tube or the stern tube, on the 4 other hand? Is that -- 5 A. I wonder which example you're referring to, Mr Mok? 6 THE CHAIRMAN: You were describing a skeg, were you not, for 7 the passenger vessel? 8 A. But the skeg has no volume. The skeg is just a plate, 9 an aluminium plate hanging below the boat. Two, 10 actually. 11 THE CHAIRMAN: Protecting the propellers and the rudders? 12 A. Protecting the propeller, supporting the rudders. It 13 does not have a volume. 14 MR MOK: I think it is the Austal 35 Liveboard. 15 A. Yes, the one on the screen. 16 Q. Yes. It's the third drawing from the top, where you 17 seem to see two structures surrounding on one hand the 18 propeller and the other one, the shaft; is that right? 19 A. These are not volumes; these are -- the triangular 20 piece, I tried to explain earlier on, that is protecting 21 the shaft and supporting the rudder is just a plate. 22 Quite a thick plate, but it has no volume. 23 I also notice, Mr Mok, that on frame 25 it does 24 actually say "WTB" for the bulkhead, watertight 25 bulkhead.</p>	<p>1 screw and would have the propeller coming in on -- 2 a propeller shaft coming in on the centreline, through 3 a gland, into an aft peak compartment and then straight 4 to the engine. There would be no long shaft tunnel. 5 I can't honestly remember the last time I saw a shaft 6 tunnel. And the volume, the minimised volume would be 7 formed by the aft peak. 8 So I think one has to read both of these 9 subparagraphs together to understand the intent of the 10 aft peak bulkhead. 11 Q. In the case of Lamma IV, where do we find the area where 12 the propeller shaft penetrates the hull, in which 13 compartment? 14 A. It comes into the engine room, Mr Mok. 15 Q. Yes. So it is a different compartment than where the 16 rudder is located? 17 A. I have not looked at the drawing specifically closely, 18 but I did note in passing that there is a tube which 19 runs down through the bottom of the vessel, and the tube 20 contains the propeller shaft. On the outboard side of 21 that there is a stern gland, and on the inboard side of 22 that there is also a stern gland, or equivalent. So 23 there are two watertight glands, I believe, without 24 looking at the drawing in detail. 25 Q. Can we look at the General Arrangement plan.</p>
<p>Page 82</p> <p>1 Q. Thank you. Maybe that solves a mystery. 2 But I suggest, Doctor, that even though regulation 7 3 or the SOLAS rules are applicable to ocean-going 4 vessels, reference to those rules are still relevant 5 because in addition to paragraph 5, there is also 6 paragraph 4 -- I'm referring to regulation 7 here -- 7 which does specifically refer to the watertight after 8 peak bulkhead? 9 A. I agree. I think regulation 7 is applicable and would 10 be used for guidance to the surveyors. 11 Q. Yes. And would it be correct to say that the matter 12 being specifically catered for, particularly the 13 watertight issue relating to the propeller, is dealt 14 with specifically in paragraph 5? 15 In paragraph 4, where it talks about the after peak 16 bulkhead, it is not necessarily setting down a rule or 17 requirement that this particular bulkhead should be 18 located at a particular distance from the stern; the 19 matter being dealt with specifically, so far as the 20 protection of the propeller is concerned, is dealt with 21 by paragraph 5? 22 A. I don't necessarily agree with you, Mr Mok, because 23 subparagraph (5) is somewhat archaic. Most modern 24 ships, the great majority of ships, for example, coming 25 into Hong Kong, ocean-going ships, would have a single</p>	<p>Page 84</p> <p>1 A. There is a drawing of the stern tube somewhere, which 2 I'm sure we can find. 3 Q. Yes. Can we look at that. 4 A. Marine bundle 2, drawing 229. 5 Q. Yes. 6 A. On the top you can probably make out where the vessel is 7 by the location of the bulkheads. The engine is shown 8 dotted on the right-hand side. The line from the engine 9 going towards the left goes through a gearbox, 10 presumably, and then through where the cursor is now, 11 there will be a bearing to support the shaft, which is 12 rotating, of course. And then we come to -- a bit 13 further left, please. This is the end of the propeller 14 tube. Now, the tube, which is where the cursor is now, 15 passes through the bottom of the vessel and contains, to 16 the right of where the cursor is now, a means to provide 17 a watertight seal. You can probably see the words just 18 to the right of the cursor "stuffing box", which is 19 a terminology used by marine designers. It's a way of 20 tightening up the seal. 21 The stern tube then runs aft to the left of the 22 picture, and you can see the words "stern tube", and is 23 connected to the bottom of the boat by some substantial 24 structure which ends the stern tube. There is then -- 25 sorry, I'm still on frame 3, which is to the right of</p>

Page 85	Page 87
<p>1 where the cursor is.</p> <p>2 If we now move slightly to the left, that is the</p> <p>3 shaft with no more stern tube. This is an open rotating</p> <p>4 shaft, which to the left is then supported by another</p> <p>5 bearing and eventually holding the propeller.</p> <p>6 All of what you see to the left of what is frame 3</p> <p>7 is rotating in open water, apart from the support at</p> <p>8 about frame 1.5 or frame 1.</p> <p>9 So the feature you've asked about is the stern tube</p> <p>10 that runs from frame 3 to frame 5 on this particular</p> <p>11 drawing, and you can see the risk is if the shaft leaks</p> <p>12 around the area called the stuffing box, it will leak</p> <p>13 into the engine room, in this particular case.</p> <p>14 Details are given just below the screen. These are</p> <p>15 details of the seals and the bearings.</p> <p>16 Q. Thank you, Doctor. I think this makes the position very</p> <p>17 clear.</p> <p>18 With that, can I invite you to one comment in your</p> <p>19 evidence. It is Day 26, page 6. Maybe we can start at</p> <p>20 line 25 of page 6. There you said:</p> <p>21 "One has to ask why is that requirement there."</p> <p>22 That's a reference to the peak bulkhead at both</p> <p>23 ends.</p> <p>24 "It's perhaps not obvious, but I doubt it's there</p> <p>25 for watertight subdivision or floodable length reasons</p>	<p>1 function that you just described earlier; that is, to</p> <p>2 protect the other compartments from the flooding that</p> <p>3 goes into the aft peak compartment?</p> <p>4 A. I understand what you're saying.</p> <p>5 Q. Yes. Do you agree that has quite a different function?</p> <p>6 A. It's quite a different function. It's a hypothesis.</p> <p>7 Q. Yes. And you do fairly use the word "speculate" on</p> <p>8 line 8.</p> <p>9 A. I do.</p> <p>10 Q. Yes. But you're not aware of any rules or materials to</p> <p>11 show that the drafter of instruction 12(iv) -- that is,</p> <p>12 in the Blue Book -- would have had this particular</p> <p>13 scenario in mind, right? There is no --</p> <p>14 A. I have no knowledge of that, no.</p> <p>15 Q. May I suggest further that it is in fact unlikely that</p> <p>16 this drafter had this particular scenario in mind</p> <p>17 because if he had in mind the purpose of preventing the</p> <p>18 vessel from sinking, he would have made it plain and</p> <p>19 beyond doubt that the after peak bulkhead referred to in</p> <p>20 instruction 12(iv) must be watertight; right? Do you</p> <p>21 agree with that? If the important function that he had</p> <p>22 in mind is to prevent the vessel from sinking by</p> <p>23 providing sufficient buoyancy, then he would have made</p> <p>24 it clear beyond any doubt that the aft peak bulkhead</p> <p>25 must be watertight.</p>
Page 86	Page 88
<p>1 because there are already detailed requirements for</p> <p>2 that.</p> <p>3 Question: Yes.</p> <p>4 Answer: So it's there for some other purpose.</p> <p>5 Question: Yes.</p> <p>6 Answer: I can only speculate as to what that</p> <p>7 purpose is, but I believe one of the possible reasons is</p> <p>8 because there are other flooding scenarios, such as, for</p> <p>9 example, what happened with Lamma IV where the engine</p> <p>10 room and the tank room were flooded, and if that</p> <p>11 happened the vessel was going to sink, because there was</p> <p>12 no buoyancy in the after part of the vessel at all. So</p> <p>13 in that case, the aft peak would provide some buoyancy</p> <p>14 at the after end, and indeed calculations show that it</p> <p>15 would have survived in that condition.</p> <p>16 So I think whoever wrote the original versions of</p> <p>17 SOLAS were aware that there were other requirements for</p> <p>18 buoyancy at the after end other than could be calculated</p> <p>19 directly with the floodable length calculations."</p> <p>20 A. I recall that, yes.</p> <p>21 Q. The specific scenario here is that there was no flooding</p> <p>22 of the after peak compartment, but flooding in the other</p> <p>23 compartments next to it?</p> <p>24 A. Correct.</p> <p>25 Q. That is, if I may put it crudely, the opposite of the</p>	<p>1 Can we look at that rule again.</p> <p>2 Do you see what I mean?</p> <p>3 A. I understand what you mean, Mr Mok. I just have</p> <p>4 difficulty in expressing --</p> <p>5 Q. Page 1769.</p> <p>6 A. I would think it was an alternative scenario, that the</p> <p>7 person who drafted that legislation, and this is pure</p> <p>8 speculation, of course, was aware of the importance of</p> <p>9 the paragraphs in SOLAS for the need for a peak</p> <p>10 bulkhead, and therefore merely copied that across rather</p> <p>11 than went into the detail you're suggesting as to why it</p> <p>12 was necessary.</p> <p>13 Q. Right. If we can look at page 1769 of bundle 8 again,</p> <p>14 at regulation 12 of the Blue Book. What I am drawing</p> <p>15 attention to is references to watertight bulkheads in</p> <p>16 subparagraph (i), subparagraph (ii)</p> <p>17 subparagraph (iii) --</p> <p>18 A. Could I ask you to hang on a second, Mr Mok.</p> <p>19 Q. I'm sorry.</p> <p>20 A. Thank you. Marine bundle 8, I think, Mr Mok?</p> <p>21 Q. Yes. It's actually tab 1 at page 1769.</p> <p>22 A. My apologies. Thank you.</p> <p>23 Q. It's okay. I'm drawing attention to references to</p> <p>24 "watertight bulkhead" in subparagraphs (i), (ii) and</p> <p>25 (iii), and even (v). But there is no particular</p>

Page 89	Page 91
<p>1 reference to "watertight bulkhead" in subparagraph (iv) 2 that we are concerned with. 3 A. Yes, I note that. 4 Q. So what I am suggesting simply is this: that if the 5 scenario that you mentioned in your evidence that we 6 just read out -- 7 THE CHAIRMAN: That's the buoyancy point, is it? 8 MR MOK: The buoyancy point, yes. And the buoyancy, 9 according to this scenario, is to prevent the vessel 10 from sinking in a particular scenario, right, such as 11 the one encountered by Lamma IV. That is the function 12 we are talking about. So my suggestion is, if he did 13 have this function in mind when drafting 14 instruction 12(iv), he would have made it abundantly 15 clear that so far as the aft peak bulkhead is concerned, 16 it must be watertight, in order to provide that 17 buoyancy. But interestingly, this is the only paragraph 18 where the word "watertight" was left out. Do you agree 19 that -- 20 THE CHAIRMAN: Well, there are a number of questions you're 21 asking now. 22 MR MOK: I'm sorry. 23 THE CHAIRMAN: So "yes" is going to tell us what, which one 24 of the questions? 25 MR MOK: Okay.</p>	<p>1 A. I'm unable to comment on whether he could or not, but 2 I think it is likely or I would not have suggested it. 3 Q. Right. Well, perhaps you can consider this. If the 4 preservation of buoyancy to prevent the ship from 5 sinking was what he had in mind, there would likely have 6 been some requirement as to the calculation of the 7 volume of that compartment, to allow for adequate 8 buoyancy for that purpose. Do you agree with that? 9 A. No. I think that would be extremely difficult to do, 10 because we're talking here about an emergency buoyancy 11 somewhere in the vessel. If you flood, in this 12 particular example, the tank room and the engine room, 13 there is no reserve of buoyancy anywhere. However, no 14 matter where you flood on a vessel, if you can have 15 a little bit of buoyancy at the extremities, you've got 16 a chance of surviving. So I believe that was the 17 intention. 18 Q. So what you are saying here is a commonsense 19 proposition; that is, wherever you have some buoyancy, 20 particularly near the end, it would help the vessel to 21 remain afloat a little, or more as the case may be? 22 A. Yes, and being at the ends, of course, the moment is the 23 greatest so it has the best effect. 24 Q. Also bearing in mind that that particular space, 25 according to you, is usually small, so the buoyancy is</p>
Page 90	Page 92
<p>1 The question is, because of the contrast in the 2 drafting, I'm suggesting that it is unlikely that the 3 drafter would have had this particular scenario, the 4 buoyancy scenario, in mind. 5 A. My opinion is, Mr Mok, that it has to be read with the 6 words "launches over 70 feet long". 7 Q. Yes. 8 A. And I can see of no other reason why you would relate 9 the size of the vessel to the need for peak bulkheads. 10 There is no structural reason. I can think of no other 11 reason at all to put a peak bulkhead in that is not 12 watertight. I know of no definition of peak bulkhead, 13 but I just cannot think of any other reason than to have 14 some watertight integrity there, or gastight integrity. 15 Q. Yes, Dr Armstrong, that may be the practice and it may 16 be desirable. At the moment, we're simply focusing on 17 the buoyancy scenario. In other words, yes, 18 a watertight bulkhead will help in terms of the function 19 that you earlier explained, that is to prevent the 20 overspillage of floodwater from the compartment to the 21 other compartment. That I understand. But in terms of 22 the buoyancy scenario or explanation, I'm simply 23 suggesting that the buoyancy explanation is unlikely to 24 be the one scenario that he would have had in mind when 25 drafting this particular rule.</p>	<p>1 limited? 2 A. Yes, although it is interesting that even on modern 3 ships, when I said it's small, it quickly becomes quite 4 large the higher up you go and the bigger the vessel is. 5 So having said it's small, it's small below the 6 waterline but can be large above. 7 Q. Yes. And maybe this is the last question I'll ask 8 before lunch. In the light of our discussion which was 9 in the context of your evidence, where you said that you 10 could only speculate, may I suggest that perhaps this 11 particular purpose concerning buoyancy is not really 12 served by the instruction 12(iv) but in fact by the 13 general requirement concerning floodable length or the 14 calculation of damage stability, and those requirements 15 are sufficient to cater for the situation of -- 16 THE CHAIRMAN: I think that question is already too long, 17 and we'll reserve it for this afternoon. But let me ask 18 you this: how much more questioning do you have? 19 MR MOK: Not much at all. 20 THE CHAIRMAN: I'm going to ask you to bring it to an end 21 quite soon. Dr Armstrong has been giving evidence now 22 for 4.5 days. 23 MR MOK: Yes. Thank you for the indication. 24 THE CHAIRMAN: 2.30. 25 (1.00 pm)</p>

Page 93	Page 95
1 (The luncheon adjournment) 2 (2.30 pm) 3 THE CHAIRMAN: Mr Pao? 4 MR PAO: Mr Chairman, over this morning I believe those 5 instructing me have produced to the solicitors for the 6 Commission two ABS certificates, samples, basically, 7 from more recent origin: 2012. One of them has -- it's 8 now in, I believe, the W&G bundle starting from page 97. 9 There are two forms of that: one is they've got a formal 10 certification on the front of those documents; and then 11 the other one, they utilise what the manufacturer of the 12 aluminium alloy supplied by the manufacturer -- and put 13 their certification at the back of that document. 14 On page 98, you will see the dimensions of the 15 aluminium alloy, which is 5083, about one-third of the 16 way down the page. Alloy: 5083. Temper: H116. 17 THE CHAIRMAN: Yes. 18 MR PAO: Then further down, a global specification. The 19 dimensions of it, to layman eyes -- because 6,000 means 20 6 mm, and then 2,000 means 2,000 mm, and then 21 6,000 mm -- 22 THE CHAIRMAN: Thank you very much. We'll come back to this 23 later. But thank you, and thank Cheoy Lee for providing 24 it for us. 25 MR PAO: Thank you.	1 A. It could do, yes. 2 Q. And so far as this safe size or the safe length of that 3 particular compartment, that particular matter is 4 catered for by the usual calculations of floodable 5 length or damage stability calculation? 6 A. I don't think that is always the case, Mr Mok, because 7 when you override a regulation and write in something 8 like "one-compartment subdivision", I think you have to 9 think about what other effects that might have. Which 10 is why I've suggested that having buoyancy at the very 11 after end is no bad thing in case of accident. 12 Q. Well, that may be one side effect of it, but that was 13 not the intention, if I may suggest, behind 14 instruction 12(iv) of the Blue Book. 15 A. 12(iv) being the requirement for peak bulkheads? 16 Q. For bulkheads at both ends. 17 A. Bulkheads at both ends. I don't know. I have 18 postulated it was put there for that reason. 19 Q. Yes. And in relation to the present case, where we find 20 the bulkhead or the aft watertight bulkhead at the aft 21 engine room position, I suggest that this is not in any 22 way a breach of the rules set out in instruction 12(iv). 23 A. I note you have that opinion. I don't agree with it, 24 though. 25 Q. Thank you.
Page 94	Page 96
1 THE CHAIRMAN: Mr Mok. 2 MR MOK: Dr Armstrong, I have only a few questions left. 3 Maybe first of all I can wrap up our discussion on the 4 aft peak bulkhead in this way. Firstly, insofar as 5 an aft peak bulkhead has the function of preventing 6 a leakage from the rudder or the propeller area into 7 other compartments, do you agree that in summary, from 8 our discussion, there is in fact no requirement that 9 this aft peak bulkhead must be located at a minimum or 10 a maximum distance from the stern? 11 My reference to "requirement" is a requirement by 12 any rules or regulations. 13 THE CHAIRMAN: He's agreed with that already. 14 MR MOK: Yes. Thank you. 15 THE CHAIRMAN: Have you not? 16 A. Yes, I have. 17 MR MOK: Secondly, this function can also be served by other 18 means, a structure such as a box or a gland which 19 protects either of -- 20 THE CHAIRMAN: He's agreed with that as well. 21 MR MOK: Thank you. 22 In terms of the distance or the location of the aft 23 peak bulkhead, it may depend sometimes on the location 24 of the rudder and the propeller shaft, and the relative 25 distance between them.	1 Just one more matter in your second supplemental 2 report, at page 931, paragraph 18. You said: 3 "I have never previously seen a ship design in which 4 the aft peak bulkhead was located anywhere other than 5 close to the stern of the vessel." 6 You're not there talking about any particular 7 distance or any specific location; this is just 8 a general comment? 9 A. It's a very general comment, yes. 10 Q. Thank you. With that, may I also invite you to a couple 11 of references to your diagrams. First of all, the one 12 at page 928. This morning we had talked about -- this 13 is the bottom diagram -- the position in 1996. May 14 I quickly come to the position in 1998 referred to in 15 your bottom table. 16 A. Yes. 17 Q. Let's deal with the position where you say "Immersed by 18 0.115". That again deals with the position of the tank 19 room and the steering gear compartment both flooded? 20 A. Correct. 21 Q. Yes. And in relation to the word "Satisfactory", what 22 you mean is that it is satisfactory in the sense that 23 the margin line is not immersed? 24 A. Correct, yes. 25 Q. And that is against the column where it says "With



Page 97	Page 99
<p>1 watertight door"?</p> <p>2 A. Correct.</p> <p>3 Q. Would it be correct to say that with that particular</p> <p>4 item, "1.007; Satisfactory", that would not be the case</p> <p>5 if you do apply the 0.1L rule?</p> <p>6 A. Which would be the next line down, Mr Mok. It is headed</p> <p>7 "Tank room only".</p> <p>8 Q. No. The 0.1L rule means that whether or not you have or</p> <p>9 you do not have a watertight bulkhead, if the distance</p> <p>10 of that bulkhead from the end of the ship is less than</p> <p>11 0.1L, then you do disregard that particular bulkhead,</p> <p>12 regardless of whether or not there is a watertight door.</p> <p>13 Is that correct?</p> <p>14 A. But this table is headed "Tank room only". So it is</p> <p>15 only a hole in the tank room of 10 per cent of L, if you</p> <p>16 like, but not penetrating a bulkhead.</p> <p>17 Q. I understand what you are talking about, but I think you</p> <p>18 would agree that whether or not you call it "Tank room</p> <p>19 only" or whatever, when you calculate floodable length</p> <p>20 and if you apply the 0.1L rule, you do have to disregard</p> <p>21 the bulkhead between the two compartments --</p> <p>22 A. No, Mr Mok.</p> <p>23 Q. -- because of the shortness.</p> <p>24 A. No, I disagree. I'm sorry.</p> <p>25 Q. You disagree?</p>	<p>1 that rule in our regulations. That is again Cap 369AM,</p> <p>2 tab 11 of the legislation bundle.</p> <p>3 THE CHAIRMAN: This is the one for ocean-going vessels only?</p> <p>4 MR MOK: Correct.</p> <p>5 THE CHAIRMAN: Yes.</p> <p>6 MR MOK: I don't have the page reference here. It is in the</p> <p>7 schedule, schedule 1, paragraph 6(6). I will read this</p> <p>8 rule, but disregarding the irrelevant words.</p> <p>9 THE CHAIRMAN: Wait until we have it on the screen, please.</p> <p>10 MR MOK: It's paragraph 6(6), internal page 59. I don't</p> <p>11 know if there's a bundle page number there.</p> <p>12 Yes, that's it. At the top. It says:</p> <p>13 "Minimum space of bulkheads --</p> <p>14 If the distance between two adjacent main transverse</p> <p>15 bulkheads required by these regulations to be</p> <p>16 watertight ... is less than ... 0.1L ... only one of</p> <p>17 these bulkheads shall be regarded as forming part of the</p> <p>18 subdivision of the ship."</p> <p>19 Do you agree that is one representation of the</p> <p>20 0.1L rule?</p> <p>21 A. Correct, Mr Mok. But the tank room is longer than this,</p> <p>22 so this does not apply.</p> <p>23 Q. Let me have a go. Applying this particular rule, if the</p> <p>24 distance between two adjacent main transverse</p> <p>25 bulkheads -- and let's take these two to be the stern,</p>
Page 98	Page 100
<p>1 A. Yes. The tank room is considered on its own, and the</p> <p>2 length of the tank room is more than 10 per cent L.</p> <p>3 Q. Right.</p> <p>4 A. Therefore, a hole of 10 per cent L only damages the tank</p> <p>5 room under single-compartment subdivision.</p> <p>6 THE CHAIRMAN: What in fact was the tank room in terms of</p> <p>7 a percentage of the length of the vessel?</p> <p>8 A. I think it runs from frame 4 to frame 9, Mr Chairman,</p> <p>9 but I might be wrong.</p> <p>10 MR SHIEH: It's 3.5 frames, each frame being 1.25 metres.</p> <p>11 Arithmetically it would be 4.375 metres.</p> <p>12 THE CHAIRMAN: Thank you. And what is that as a percentage</p> <p>13 of the length of the vessel?</p> <p>14 Can we help you? What are you looking for,</p> <p>15 Dr Armstrong?</p> <p>16 A. I have found it, thank you, sir. I was looking for the</p> <p>17 General Arrangement.</p> <p>18 Yes, 4.365, which is --</p> <p>19 MR SHIEH: 4.375?</p> <p>20 THE CHAIRMAN: We're told it's 3.5 times 1.25, which makes</p> <p>21 4.375.</p> <p>22 A. Roughly 17 per cent, I make it, sir.</p> <p>23 THE CHAIRMAN: Thank you.</p> <p>24 MR MOK: Dr Armstrong, can I take you up on your last answer</p> <p>25 by asking you to refer to at least one representation of</p>	<p>1 or rather the transom on the one side, and also the</p> <p>2 bulkhead between the steering gear and the tank room on</p> <p>3 the other hand, would you agree that applying this rule,</p> <p>4 what it means is that that particular bulkhead should be</p> <p>5 disregarded?</p> <p>6 A. For the purposes of flooding the steering gear</p> <p>7 compartment, yes, I would, Mr Mok.</p> <p>8 Q. Yes. And when you apply that particular rule, does it</p> <p>9 mean that you have to do a calculation on the basis of</p> <p>10 the tank room and the steering gear compartment</p> <p>11 together?</p> <p>12 A. Yes, but I would word that slightly differently to say</p> <p>13 that you would have to combine the tank room -- sorry,</p> <p>14 you'd have to combine the steering gear compartment and</p> <p>15 the tank room, rather than the other way round. Because</p> <p>16 it's from the perspective of the steering gear</p> <p>17 compartment.</p> <p>18 Q. Right. So looking at it from that point of view, then</p> <p>19 where you have a watertight door in 1998, it would still</p> <p>20 be unsatisfactory from that point of view?</p> <p>21 A. Correct. But I believe the table shown on page 928 is</p> <p>22 still correct, because it's seen from the tank room</p> <p>23 perspective, not the steering gear perspective.</p> <p>24 Q. Yes. But looking at the position overall, which would</p> <p>25 include --</p>

Page 101	Page 103
<p>1 A. Oh, yes. 2 Q. -- looking at it from the position of the steering gear 3 compartment, it would still be unsatisfactory? 4 A. Correct. 5 Q. And it would be unsatisfactory on that occasion whether 6 or not there was a watertight door or not? 7 A. Correct. Overall. 8 Q. Finally on this line, if we look at the 2005 position, 9 I think the discussion we just had now would apply 10 equally to the position in 2005; correct? 11 A. Yes. 12 Q. Here, I have noticed that your calculation is that the 13 margin line is submerged by -- is it 42 mm? 14 A. Correct. 15 Q. So it hasn't reached the deck, because the margin line 16 is 76 mm? 17 A. Correct, yes. 18 Q. On that scenario, the vessel would not sink, put simply? 19 A. I can't say that, Mr Mok. It fails the criteria, and 20 the criteria is a limiting criteria, and anything above 21 that, the ship may sink due to waves or other action. 22 Q. If it may be if one looks at it just on the basis of 23 these figures, it doesn't seem that there is an inherent 24 overwhelming of the margin line to such an extent that 25 that itself would make the boat sink.</p>	<p>1 not? 2 A. Correct. 3 MR MOK: So your opinion, in short, is that where you have 4 the same weight, the floodable length would not change 5 regardless of where you put the weight? 6 A. It would change if the ballast was moved longitudinally, 7 but my understanding was the ballast was only raised. 8 If it was moved further aft, for example, then the 9 margin line would immerse further because the boat would 10 be trimming more. 11 Q. So what about the other way, if you move it forward? 12 A. If the ballast was moved forward, yes, the margin line 13 would not immerse as much. 14 Q. Right. So would it be possible, where you only have 15 a small immersion, say for example of 42 mm, for this 16 ballast to be placed, say, in other parts of the ship in 17 order to correct the position so that the margin line 18 would not be immersed? Is it possible -- 19 A. It would be possible to do that. 20 Q. Right. My final question on this line is this. Even if 21 any of these measures are adopted, for example adding 22 buoyancy or perhaps the best example would be to move 23 the ballast to a different position, that measure, even 24 if taken, would not have prevented Lamma IV from sinking 25 in the present case, because of the flooding also of the</p>
Page 102	Page 104
<p>1 A. I wouldn't want to be on board, Mr Mok, I'm sorry. 2 THE CHAIRMAN: It wouldn't be allowed to go to sea, would 3 it, Dr Armstrong? 4 A. No, it would not, sir. 5 MR MOK: You told us earlier that that position -- that is, 6 the immersion of 42 mm -- may be corrected by certain 7 adjustments, for example by reducing the ballasts or 8 adding buoyancy boxes at the end. 9 A. Yes. 10 Q. Would another way be to, say, adjust the position of the 11 ballast, for example higher or lower or in a different 12 position? 13 A. It would make no difference to the floodable length at 14 all. It would only affect the GM value. And this is 15 a floodable length calculation, not a damage stability 16 one. 17 Q. So, for example, the difference between 1998 and 2005, 18 one is immersed by 0.115, the other one is 0.042, even 19 though the ballast is simply raised? 20 A. It was not because of the ballast being raised, Mr Mok. 21 It was because the boat miraculously reduced in weight 22 for some unknown reason. 23 Q. Some error? 24 A. I don't know. 25 THE CHAIRMAN: It was a 3-tonne difference in weight, was it</p>	<p>1 engine room? 2 A. I can't say that for sure, Mr Mok, because if one looks 3 at page 929, the next page of the same document, where 4 we have "Engine room and tank room flooded", but with 5 some additional buoyancy at the after end, in this case 6 I've said that the steering gear compartment is intact 7 because there is a watertight door, and the vessel 8 remains with the margin line above the water. So it's 9 not immersed. So the answer to your question depends on 10 how much buoyancy you put in those buoyancy boxes. 11 Q. Doctor, I think we are at cross-purposes. I'm not 12 asking it on the basis of whether or not we need to put 13 additional measures such as a watertight door. All I'm 14 saying is that leaving that access opening open, as it 15 were, but simply moving the ballast to a position where 16 the margin line would not immerse -- 17 A. Sorry, I thought you were talking about -- 18 Q. -- that measure would not have prevented the vessel from 19 sinking? 20 A. No, correct. Moving the ballast would not have done 21 that. 22 Q. The only small subject that I wish to take up with you 23 is this. I believe that you said that in terms of 24 lifebuoy, usually it is or should not be shared by two 25 persons. I'm just simply asked you for your experience,</p>

Page 105	Page 107
<p>1 that there may be jurisdictions or places where 2 a lifebuoy is contemplated to be shared by two persons; 3 is that correct? 4 A. Thank you for that comment. You may be right. I may be 5 unaware of that, yes. 6 Q. Just maybe to jog your memory, I have over the lunch 7 break included two references. 8 Mr Chairman, this will be my last reference. 9 THE CHAIRMAN: Yes. 10 (Handed). 11 MR MOK: I have to admit that these are somewhat random, but 12 there are two documents here. One is issued by the 13 Queensland Government, and the other one is by the 14 Northern Territory Government. No doubt you are 15 familiar with both of them. 16 A. I'm aware of both of them. 17 Q. In relation to the Queensland Government document, can 18 we just look at the first page where it refers to the 19 lifebuoy. That is the first box. You see on the 20 right-hand side of the first box it says: 21 "Each lifebuoy is expected to provide support for 22 two people." 23 That, of course, is in relation to this particular 24 type of vessel, 25 metres or longer. Do you see that? 25 A. Yes.</p>	<p>1 so far as lifebuoys are concerned, that they can be 2 provided to support two persons? 3 A. I accept that, Mr Mok. May I draw your attention, 4 though, to the fact that the latter document, for 5 example, from the Northern Territories, is for class 2E, 6 which means a vessel operating on a lake or on a river, 7 where quite often the passengers can walk ashore. 8 Q. Yes. 9 A. It's not necessarily -- it's certainly not ocean-going. 10 It's smooth waters. 11 Q. Thank you for that qualification. 12 COMMISSIONER TANG: Can I ask, what do you mean by 13 "non-passenger vessels", here? Class 2E non-passenger? 14 A. A passenger vessel -- 15 COMMISSIONER TANG: "Non-passenger", that means it is not 16 licensed to carry passengers? 17 A. Mr Commissioner, it means a vessel carrying less than 18 12 passengers. 19 COMMISSIONER TANG: I see. 20 A. The definition of a passenger-carrying vessel is one 21 carrying more than 12 passengers. 22 COMMISSIONER TANG: Thank you. So it doesn't really apply 23 to our case here? 24 A. This is true. It's not a passenger vessel. Thank you. 25 COMMISSIONER TANG: Thank you.</p>
Page 106	Page 108
<p>1 Q. Over the page, it's for another type of vessel, between 2 15 metres and less than 25. I think the same reference 3 is there to lifebuoy; right? And then also over the 4 page, in relation to less than 15 metres in length, each 5 lifebuoy, again, is to provide support for two people. 6 In relation to the next document, Northern 7 Territory, there's only one reference. Over the page on 8 page 2, first -- 9 THE CHAIRMAN: Just before you move on, since we're looking 10 at this. That's only one aspect of what Dr Armstrong 11 spoke about, is it not? The other aspect is under the 12 heading "Life jackets": 13 "Coastal life jacket for 100 per cent of allowable 14 crew and any other people on board." 15 MR MOK: Yes. 16 THE CHAIRMAN: That's the other factor Dr Armstrong 17 mentioned. Lifebuoys were for people in the water to be 18 thrown to. Life jackets for every person on board. 19 MR MOK: Mr Chairman, I'm simply addressing the point of -- 20 THE CHAIRMAN: Well, I'm addressing the other one. 21 MR MOK: Yes, of course. 22 If you look at the second document over the page, on 23 page 2, it is stated on the first small line: 24 "It is assumed a lifebuoy will support two persons." 25 Do you agree, Dr Armstrong, that it is not unusual,</p>	<p>1 MR MOK: Mr Chairman, I have finished my questions. 2 THE CHAIRMAN: Yes. 3 Again, Dr Armstrong, the provision for life jackets 4 is one for each person, is it not? 5 A. Generally it is, yes, sir. 6 THE CHAIRMAN: I'm looking at page 4071: 7 "One personal flotation device ... (coastal or 8 SOLAS) for each person." 9 Thank you, Mr Mok. 10 Mr Yeung, do you have an application? 11 MR YEUNG: Yes, Mr Chairman. May I have leave to ask two 12 questions arising from the answers given by Dr Armstrong 13 yesterday. Firstly, the question asked by my learned 14 friend Mr Grossman on the relationship of the various 15 persons involved in the survey; and secondly, a question 16 asked by my learned friend Mr Mok on how a surveyor 17 would inspect the plates? 18 THE CHAIRMAN: Yes. Please do. 19 MR YEUNG: Thank you. 20 Examination by MR YEUNG 21 MR YEUNG: May I have the transcript from Day 27, yesterday, 22 page 22. 23 Dr Armstrong, against line 4 there you were asked by 24 my learned friend Mr Grossman who asked you to put 25 yourself in the position of a surveyor, and then further</p>

Page 109	Page 111
<p>1 down, line 18, he asked a specific question about the 2 thickness of the hull. Further down, against line 22, 3 is your answer: 4 "There seems to have been some understanding between 5 Mardep and CCS that I don't fully understand, as to what 6 they accepted and what they did not accept. But my 7 understanding of what I've read is that Mardep would 8 accept survey of the structure and would not therefore 9 check it again." 10 This was your answer given yesterday. 11 A. (Witness nods). 12 Q. Now may I have the transcript from Day 17, page 125. 13 Dr Armstrong, this is part of the testimony given by 14 Mr Fung Wai-man, who is a senior ship inspector, on 15 Day 17. At page 125, line 16, this is the question 16 asked, I believe, by my learned friend Mr Beresford: 17 "So far as item 8 is concerned ..." 18 Pausing here, I need to put up another document, 19 sorry, and that would be marine bundle 2, page 265. 20 This is the document referred to in the testimony of 21 Mr Fung on Day 17. Item 8 can be seen on the screen. 22 It's concerned about "Hull Construction Survey (X-Ray 23 Examination) and at the right-most column you can see 24 "HKMD (X-Ray Examination)". So this is the item 25 referred to in the testimony on Day 17.</p>	<p>1 Against line 13: 2 "If you go over the page to 4050 and look at the 3 table -- before we look at the table, you see there is 4 a paragraph 401." 5 I don't think I need to show you 401 because the 6 whole of 401 was cited against line 17 or line 18. 7 "It states: 8 "The surveyor does not inspect dimensions or surface 9 condition of each single plate, section, et cetera. It 10 is the aluminium producer's responsibility that the 11 requirements for dimensional tolerances are satisfied." 12 So this is the passage referred to you under the DNV 13 Rules, paragraph 401. 14 My question is, is this the general practice adopted 15 by other societies as well, as far as surveyors 16 inspecting the plates are concerned? 17 A. I do not know for certain that that is the case for all 18 class societies, but my understanding was with 19 Germanischer Lloyd and Det Norske Veritas, that they 20 approved processes and took spot samples. They did not 21 necessarily inspect every single plate. 22 Q. I believe DNV as well as CCS are both members of the 23 International Association of Classification Societies; 24 is that correct? 25 A. IACS, yes.</p>
<p>Page 110</p> <p>1 The question again: 2 "So far as item 8 is concerned, was there a division 3 of labour undertaken on the one hand by the Society, and 4 by the Marine Department on the other hand? 5 Answer: You can understand it that way. 6 Question: So can you tell us precisely what was the 7 division of labour; which organisation undertook which 8 part of the responsibilities? 9 Answer: This Chinese Classification Society [that 10 is CCS] was mainly responsible for the welding and the 11 x-ray examination on the welding; and the examination on 12 the hull structure was done by Marine Department." 13 With this, maybe it can assist you to better 14 understand the division of labour between the two 15 parties just mentioned. 16 A. Thank you very much. 17 Q. So it is clear from this answer that the only area of 18 responsibility for CCS is for the welding and the x-ray 19 examination on the welding? 20 A. I had forgotten that. Thank you very much. 21 Q. If I may move on to my second question. 22 Can I have the transcript from Day 27, that is 23 yesterday, page 71, line 8. Dr Armstrong, you were 24 referred by my learned friend Mr Mok who was showing you 25 the DNV Rules yesterday.</p>	<p>Page 112</p> <p>1 Q. Thank you. So it would be proper and acceptable if CCS 2 are to follow the practice as adopted by DNV? 3 A. I would think so, yes, sir. 4 MR YEUNG: May I have a moment, Mr Chairman. 5 THE CHAIRMAN: Yes. 6 MR YEUNG: I'm advised by those instructing me that the 7 reference I quoted was actually wrong. The actual 8 passage should be on page 70, lines 15 to 22. I'm using 9 the draft that was from yesterday. My apologies. But 10 I think the point is made. 11 THE CHAIRMAN: Yes, very well. 12 MR YEUNG: I have no further questions, Mr Chairman. 13 THE CHAIRMAN: Thank you. 14 Mr Shieh? 15 Further examination by MR SHIEH 16 MR SHIEH: Dr Armstrong, I would like to first of all 17 explore the question about the batteries. To start 18 with, yesterday you were asked the question whether or 19 not if the batteries were submerged, that would result 20 in there being no power supply to the navigation lights. 21 I believe your answer was that you were not expert 22 enough to answer that question. 23 A. I did say that, yes, sir. 24 Q. Are you suggesting that there could be factors affecting 25 whether or not in such a scenario, where the batteries,</p>

Page 113	Page 115
<p>1 whatever types they are, are submerged, the navigation 2 light power may or may not be disrupted, depending on 3 circumstances? 4 A. I suspected that and that is why I felt unable to answer 5 at that time, because I'm not sure how batteries would 6 survive when immersed in seawater. 7 Q. So the reason why you say you are not expert enough is 8 because you are not familiar with the behaviour of 9 batteries when submerged in seawater? 10 A. When submersed in seawater. However, Mr Shieh, I have 11 discovered something different overnight -- 12 Q. Which is? 13 A. -- which I think is relevant. 14 Q. Yes. 15 A. I was asked by the Chairman to address some electrical 16 issues and during that investigation -- 17 Q. I was about to ask that, but obviously you're in a much 18 better position to actually tell us your discovery. 19 A. By all means I'll follow your lead on these questions. 20 Q. Go ahead. 21 A. During this investigation, I discovered some things that 22 made me suspect that the batteries probably did provide 23 power for some period of time. I wanted to bring this 24 to your attention. 25 Q. Yes.</p>	<p>1 ship are two boxes. These boxes are irrelevant to what 2 I would like to talk about. They're just in the lower 3 right side. If you can scroll down a little. Thank 4 you. 5 Sorry, if you can go back to the picture above. 6 Thank you. Just there. 7 The box in the foreground on the right-hand side 8 looks intact, but the one behind it has lost its door. 9 The door is on the ground below it, if I can use the 10 word "ground". Underneath that door is what I believe 11 to be one of the battery boxes. There is a lot of mud 12 involved. 13 If you can now picture that and scroll up to the 14 next picture, 514. 15 This is a similar picture. You can see the water 16 tanks lying in the background, but in the foreground on 17 the right is a better picture of the two boxes which 18 I believe are the battery boxes lying on the ground, on 19 the deck in the engine room. 20 Q. They're on the port side, are they? 21 A. They're on the port side. And I think they're the 22 battery boxes, as much as anything because of the colour 23 and size of the cables contained within those boxes. 24 I'm not 100 per cent sure that is what they are, but I'm 25 99 per cent sure. The fact that there appears to be</p>
<p>Page 114</p> <p>1 A. In particular, can I bring to your attention marine 2 bundle 2, drawing 255. This is a drawing of the 3 electrical layout of the vessel. I just want to bring 4 to your attention note 9. It's on the right-hand side. 5 It's quite hard to read. I might read it for you: 6 "Batteries housed in GRP gastight box and to be 7 vented to open deck with adequate coaming." 8 I mentioned I'd seen the batteries and they were 9 certainly not in a gastight box when I inspected the 10 vessel, owing to the result of the collision. But here 11 we have a suggestion they were in a gastight box, vented 12 to the open deck, which would suggest to me, Mr Shieh, 13 that they would have continued to provide power for some 14 time until the water was able to penetrate down the 15 vent, or alternatively to breach the gastight box in 16 some way due to items falling down or otherwise reducing 17 the container, the box, to a non-watertight state. 18 I can show you a reference to a photograph of the 19 batteries if that is of use. 20 THE CHAIRMAN: Yes, please do. 21 MR SHIEH: Yes, please. 22 A. I think the relevant ones are police album IX, 23 picture 515. This is somewhat by way of an introductory 24 photograph, because it will lead to the next one. Thank 25 you. On the right-hand side, against the side of the</p>	<p>Page 116</p> <p>1 a rubber seal lying along the top around the periphery 2 also suggests that was a gastight container. So I began 3 to believe it might be possible that these would 4 continue to operate, assuming they weren't hit by Sea 5 Smooth when it came in, and from what I can judge, they 6 were clear of that. Of course they're somewhat damaged 7 now, but I think that was as a result of the sinking. 8 Mr Chairman, I also have a picture of the 9 switchboard for the navigation lights taken in the 10 wheelhouse. 11 THE CHAIRMAN: Thank you. 12 A. I note that -- maybe I could touch on that subject now. 13 I notice that in one of the pictures the circuit-breaker 14 has tripped for the navigation lights, and I do not know 15 when that happened, of course. It may have happened 16 after the vessel was brought ashore, for all I know. 17 But the fact that the circuit-breaker shows red in the 18 photograph indicates to me that there was power to 19 a navigation light at some stage when there was 20 a short-circuit. That could feasibly be a navigation 21 light breaking; I do not know. But I'd just like to 22 bring it to you attention. That photograph can be seen 23 at marine bundle 1, I think it is, page 146. 24 I'm sorry, could you scroll down. One more. Thank 25 you.</p>

Page 117	Page 119
<p>1 The lower black panel -- 2 THE CHAIRMAN: Of page 147? 3 A. Of page 147 -- is the 24-volt main switchboard. 4 According to the drawings and according to my eyes 5 peering through the poor focus, the second 6 circuit-breaker from the left says "nav lights" 7 underneath. You can probably see there is a colour red. 8 The colour red indicates to me that that circuit-breaker 9 has tripped. I thought it was interesting that that had 10 tripped, although, as I say, I do not know when it 11 tripped. 12 MR SHIEH: And that is the circuit-breaker for? 13 A. For the navigation lights. 14 Q. How would you interpret that, Dr Armstrong? 15 A. Well, as I say, Mr Shieh, I don't know when it happened. 16 But if it happened before the vessel was recovered, then 17 I would interpret it -- clearly it can only trip when 18 there is power to something that short-circuits. So 19 a possibility is when a light broke, for example, and 20 the seawater then allowed it to arc across the contacts. 21 That would create -- 22 Q. A surge of electrical current? 23 A. It would create a sufficiently large electrical current 24 to trip the circuit-breaker, which is rated at 1 amp, 25 I think. I am not an expert in electrical matters.</p>	<p>1 use GRP. 2 Q. But steel or GRP, it would have afforded some degree of 3 protection? 4 A. Yes, I believe so. And I think GRP is a better 5 material. 6 Q. Thank you. Could we now turn back to look at some of 7 the drawings. Could we look at police bundle P(II), 8 page 4966-10. 9 THE CHAIRMAN: What are we looking at? 10 MR SHIEH: An electrical wiring drawing. 11 THE CHAIRMAN: For which vessel? 12 MR SHIEH: Lamma IV. 13 THE CHAIRMAN: Doesn't it say "catamaran" at the bottom 14 right? 15 MR SHIEH: I might have actually made a mistake. It must be 16 a mistaken citation. Could I return to that later. 17 Mr Beresford is trying to look up the reference I want, 18 but whilst he's doing so, perhaps I'll move on to some 19 other areas. 20 On the subject of seats, you made a comparison with 21 the way in which seats were mounted on the Sea Smooth. 22 In particular you mentioned this concept of tracks on 23 which seats are mounted. 24 A. Yes, sir. 25 Q. Just to visualise what the tracks look like, I was just</p>
<p>Page 118</p> <p>1 I know a dangerous amount. I know enough to be able to 2 design circuits, but I would take advice. 3 Q. Thank you, Dr Armstrong. 4 When you started off your explanation as to your 5 discovery about the batteries, you took us to 6 an electrical wiring drawing. In fact I was going to 7 show you another drawing with an entry which may 8 potentially be relevant. Can you look at marine 9 bundle 2, page 172. In the box on the top right-hand 10 corner, note 7 -- 11 THE CHAIRMAN: This is the General Arrangement? 12 MR SHIEH: This is the General Arrangement, Mr Chairman. 13 Note 7: 14 "If batteries fitted in engine room, steel batteries 15 locker with effective air pipe extend above deck to be 16 provided." 17 A. Yes, sir. 18 Q. Would it be consistent with what you have seen? 19 A. Could I refer you to marine bundle 2, page 275. 20 Q. Yes. 21 A. I noticed this letter late last night. This is 22 an application from Cheoy Lee to the Marine Department 23 to fit the batteries in GRP boxes. Whilst I could not 24 find a reply to this, there is an implicit reply in the 25 note on the approved electrical drawing, that they can</p>	<p>Page 120</p> <p>1 seeing whether you could help us. Police album II, 2 page 108. Can you see the tracks from this photograph? 3 A. On the left-hand side of the picture, under the seats, 4 between the people's feet. I did not get down on my 5 hands and knees and inspect it, but I believe that is 6 a track for seats. 7 Q. Could we look at page 106. It may be clearer. On the 8 left-hand side, are those also tracks? 9 A. Yes. 10 Q. How about page 95? 11 A. Indeed. That's a good illustration. 12 Q. How would these tracks have worked? How would the 13 mounting process have worked? 14 A. I don't know on Sea Smooth how it was done. I did not 15 inspect that. But normally they would be attached to 16 the deck in some adequate way, bearing in mind this 17 vessel may have been seen as a high-speed craft. 18 Q. Thank you. 19 THE CHAIRMAN: And the advantage of using a track is that 20 you can secure the track where you wish to do so, and 21 then position the seats along the track as is required 22 in the design, without having to secure the seat at that 23 place? 24 A. Exactly, sir, yes. 25 MR SHIEH: Dr Armstrong, I have now located the -- could</p>

Page 121	Page 123
<p>1 I just continue on the question of seats. Yesterday you 2 were shown an IMO set of guidelines or an IMO code on 3 seats and the force that would be required to detach 4 seats. Could I ask you to look at the Reed Smith 5 Richards Butler bundle, page 1014. 6 I'm sorry, I seem to be getting all the wrong 7 references. I'll come back to that. 8 I have now located the electrical wiring diagram, 9 and it is in marine bundle 2, page 317. 10 This is a drawing which I think my learned friend 11 Mr Richard Zimmern took you through. Do you remember 12 that? 13 A. I do, sir, yes. 14 Q. Particularly the bottom drawing, the one at the bottom. 15 A. Mr Shieh, there may be a better copy of this drawing. 16 Marine bundle 2, I think it's item 257. It is the same 17 drawing but with less black on it, from memory. 18 Q. Thank you. Because I think the evidence referred to 19 this page, but obviously 257 -- 20 A. It may be page 256 for the particular one, or page 255. 21 Thank you. 22 Q. The bottom drawing, we can see the two Caterpillars. 23 Those are the engines; correct? 24 A. Correct, the propulsion engines. 25 Q. The two batteries that we saw in the photograph just now</p>	<p>1 THE CHAIRMAN: Are we moving to another subject? 2 MR SHIEH: Yes, we are. 3 THE CHAIRMAN: When you say "emergency cabin light", did 4 that in any way operate to keep the navigation lights 5 lit? 6 A. As far as I can ascertain, sir, no, it did not. May 7 I refer to the next particular drawing and illustrate 8 that? 9 THE CHAIRMAN: Please. 10 A. The next drawing down, in fact, page 256. Maybe I could 11 ask you to go down to page 257 first. 12 Very simply put, we can see here up the middle of 13 the page seven little boxes and they are in fact 14 representing the batteries. If you can put a cursor 15 just -- that's it. The lower one is irrelevant because 16 that's the starter battery for the genset. Above that 17 there's the starter batteries for the starboard engine, 18 and then the ones for the port engine, and then above 19 that, the ones for the emergency source of power. 20 If you take the lines off to the right -- 21 THE CHAIRMAN: From the top ones? 22 A. From the top one. On the right-hand side, if you can 23 scroll up a little bit, that provides power to the 24 24-volt switchboard, the left-hand part of which is 25 actually in the engine room but the right-hand part of</p>
Page 122	Page 124
<p>1 are the two batteries at the top of the drawing, the 2 port side? 3 A. Correct. 4 Q. One having its cover fallen off onto what you call the 5 floor or the ground? 6 A. Yes. 7 Q. And that one would be what you think housed the back-up 8 battery? 9 A. The door was off some other piece of equipment. I was 10 just using that to identify where the batteries were. 11 THE CHAIRMAN: The door fell off the box which was on the 12 side wall? 13 A. Yes, and the box was not relevant to the electrical 14 system. The lids to the boxes, I do not know where they 15 are. I think they may have been tidied up amongst the 16 debris removal. 17 THE CHAIRMAN: From the examination of the photographs, 18 together with this drawing, were those batteries then 19 the auxiliary power batteries? 20 A. I can tell you that is the case, yes, sir. One of them 21 is used for the engine starting on the port side, and 22 the other one is indeed the emergency source of 23 electrical supply to the emergency cabin lighting. 24 MR SHIEH: Thank you. Could I now ask you to look at expert 25 bundle 2, page --</p>	<p>1 which is in the wheelhouse, and I will show you 2 a photograph of where that is located. 3 THE CHAIRMAN: Yes. 4 A. So on the right-hand side, those are all 5 24-volt-supplied pieces of equipment in the wheelhouse, 6 for example the wipers, the radars, the VHF. And the 7 top line goes off to the navigation light distribution 8 board. You might be able to see the top line says "to 9 nav light dist board". 10 THE CHAIRMAN: Distribution? 11 A. Distribution. 12 Could I now invite you to go to -- 13 THE CHAIRMAN: Just give me a moment, please. Thank you. 14 A. If I can invite you to scroll down just a little. Thank 15 you. 16 You may notice in the middle at the bottom two words 17 saying "spare". Just to the left of that, there is 18 a box with a diagonal line. That is in fact 19 an automatic changeover switch which either allows the 20 emergency lights to be driven by the 24 volts from the 21 generator source, or from the batteries. So that is 22 an automatic changeover for the emergency lights in the 23 wheelhouse and upper deck and lower deck. I just 24 mention that in passing. That is the automation of 25 alternative power supply to cabin lights.</p>

<p style="text-align: right;">Page 125</p> <p>1 If you scroll down a little bit further, please. 2 Thank you. And move a little to the left, and then down 3 just a little more. Thank you. 4 You see coming in from the left a power supply -- 5 could I ask you a little more to the left, please. 6 Fine. 7 That is a power supply to the navigation lights. 8 The navigation lights are on the right of this diagram. 9 The switch with lots of little dots, and above it the 10 words -- I'm not sure what the words are. It looks like 11 "IO6 DP COS", I think it's 10-amp, "DP" for dipole, but 12 I'm not sure. That is fed by two sources which are 13 shown on the left. One says "To 24-volt main 14 switchboard", and that is the normal power supply for 15 the nav lights. I'm sorry, I'll start again. 16 Look at the upper one, which says "To 17 transformer/rectifier". That is the normal 220-volt 18 electrical supply coming from the main switchboard, 19 which goes through a transformer rectifier to bring it 20 down to 24 volts. That is the normal supply to the 21 nav lights. In case of emergency, you can flick over to 22 the other source, which is the 24-volt main switchboard 23 which comes from the batteries. However, I believe that 24 that switch in the middle of the page saying 25 "10-amp DP COS" is a manual switch, so it does not</p>	<p style="text-align: right;">Page 127</p> <p>1 ship these little telltale lights should come on as 2 well, so that the person in the wheelhouse knew that -- 3 Q. Knew whether the lights were on or off? 4 A. Knew they were on or off. 5 Q. So in a way that minimises the risk of somebody 6 forgetting to switch on the lights, because he would be 7 able to see -- 8 A. Indeed, except I will illustrate shortly that they were 9 in a rather poor location for the coxswain to notice 10 them. 11 Below those tabs you will see a number of switches, 12 you can see they say "Off", and that is the means to 13 switch individual navigation lights on or off. 14 To the top right is a black circle that has "Buzzer" 15 written against it, and this is an alarm system, usually 16 in case a navigation light is not functioning. 17 THE CHAIRMAN: What would be the consequence of that? The 18 buzzer would sound? 19 A. The buzzer would sound, yes, sir. 20 THE CHAIRMAN: And the light would have gone out? 21 A. The light would have gone out. The buzzer would have 22 drawn it to your attention, except for, I notice in the 23 bottom right of this picture there is a button which 24 says "Alarm mute", so there was a means for switching 25 the buzzer off.</p>
<p style="text-align: right;">Page 126</p> <p>1 appear to me to be automated. 2 I can show you a picture of the switchboard, 3 Mr Chairman, and the switch looks like it's manual to me 4 as well. 5 THE CHAIRMAN: Perhaps you could show us that. 6 A. I believe it's marine bundle 1, page 146. 7 This is the navigation lightboard. It says 8 "navigation light C/ST", and I'm sorry, I don't know 9 what that means. 10 MR SHIEH: Can we have a close-up. 11 Can you point out what -- 12 A. Yes, I will run through that, if that's what you'd like, 13 Mr Shieh. 14 The top row shows a row of lights. 15 Q. Yes. 16 A. My understanding is that when there was power to the 17 relevant navigation lights, the relevant light would 18 come on. So from the left, the nameplates tell me that 19 is the masthead light; and then there's a port light; 20 then a starboard light which would be green; and then 21 a stern light, a white light; and then an anchor light, 22 which is white; and then the two on the right are what 23 are called NUC lights, "not under command" lights, and 24 these are two special white lights mounted on the mast. 25 So if the nav lights were illuminated outside the</p>	<p style="text-align: right;">Page 128</p> <p>1 Just below the buzzer in the top right there is 2 a rotary switch which is a dimmer, so you could reduce 3 the brightness of the lights at the top of the panel. 4 Below that, on the left-hand side, there are seven 5 circuit-breakers which correspond to the seven 6 navigation lights. And then in the middle, a yellow 7 button called "Lamp test", and every day, or whenever, 8 the coxswain should press that button to check that all 9 the lights in this panel all come on, to ensure that the 10 navigation lights are working outside. 11 I finally got to the point, because the next one 12 along, which is a big black square with "1", "0", "2", 13 is a manual switch which, when in position 1, would use 14 the supply from the transformer rectifier, and the one 15 on the right is marked "batt" for battery. And in 16 between I think is just a neutral position. 17 THE CHAIRMAN: So to move to the emergency battery, you'd 18 switch manually from "1" to "2"? 19 A. That is my conclusion. 20 MR SHIEH: You mean in order for there to be a switch to 21 using the emergency batteries, there had to be a manual 22 task of switching this particular switch? 23 A. That is how I understand the drawings and the 24 photographic evidence. 25 Mr Shieh, can I explain my previous comment and show</p>



Page 129	1 you where this panel is? 2 THE CHAIRMAN: Yes. 3 MR SHIEH: Yes. You were saying it was poorly positioned. 4 A. If you go to marine bundle 1, page 139, which is a few 5 pages previously, somebody in the Marine Department has 6 kindly provided this plan view. 7 THE CHAIRMAN: Yes. In fact, we have remarked on this 8 bundle of photographs before. 9 Mr Mok, would you thank whoever put this together in 10 the Marine Department, because this is without doubt the 11 most useful collection of photographs we have amongst 12 the thousands that we've got. 13 MR MOK: Thank you. I will do that. 14 A. The relevant items are numbered 13, 14, and 15, and they 15 are on the port side behind the coxswain. The 16 navigation light distribution board is number 13. I can 17 show you a photograph of this if it would be of value. 18 THE CHAIRMAN: Yes, please. 19 A. First of all, the view of the coxswain of the panel is 20 illustrated in police album III, page 154. This is 21 obviously the main console on the right. But on the 22 left you'll probably see a fire extinguisher, a red 23 item, and above that is the navigation light panel. So 24 although it is quite close to the coxswain, he would 25 have to turn round to look at it. If you would like to	Page 131	1 Q. Turning towards batteries? 2 A. So coming from that battery on the floor in the engine 3 room. 4 Q. Emergency battery? 5 A. The emergency batteries. 6 Q. Thank you. 7 Dr Armstrong, I'm leaving the question about the 8 batteries, unless you have any additional information to 9 supplement. 10 A. No, sir. 11 Q. I now move to the point where I lost my reference. I've 12 now found it. It's the same page number but a different 13 bundle. It's expert bundle 2, page 1014, which is 14 an extract from the IMO code of practice, I think. Do 15 you remember that? 16 A. Yes, sir. 17 Q. Yesterday you were shown this code, and you were asked 18 some questions about it. I think one of your responses 19 was that the IMO code doesn't apply to a vessel like 20 Lamma IV because the IMO doesn't actually allow for 21 fibreglass, because of toxicity and other problems or 22 concerns. 23 A. There are a number of reasons why it would not apply to 24 these vessels, not the least of which is it starts out 25 with the words "only applies to vessels on
Page 130	1 see a detail of the panel, that is shown on police IX, 2 page 547. 3 THE CHAIRMAN: Yes, please. 4 A. This shows three panels, in fact. The one on the right 5 is the 220-volt supply to the wheelhouse and deck lights 6 and other 220-volt items, and is irrelevant. 7 The panel in the middle, the upper part I've just 8 talked through, that's the navigation light panel. 9 The panel below that is the 24-volt supply 10 distribution board and circuit-breakers. The lower 11 panel would have the red indicator lit. But you can't 12 see it in this photograph. 13 THE CHAIRMAN: Thank you. 14 MR SHIEH: Could we go back to the earlier photograph that 15 you showed us, which showed the switch to the emergency 16 battery. Page 146. 17 A. Marine bundle 1, page 146, yes. 18 Q. Is there any photograph that you could find that shows 19 us which way the switch has been turned, as depicted 20 here? 21 A. Well -- 22 Q. Of course it may not depict the way the switch has been 23 switched -- 24 A. The way the switch is orientated, a little faint white 25 line, it's pointing towards batteries, number 2.	Page 132	1 an international voyage". But, yes, I did say that it's 2 unusual to have a composite construction for 3 a high-speed craft. 4 Q. Thank you. Leaving that to one side, if you look at the 5 methodology or the way in which the IMO code dealt with 6 the issue of seat safety -- look at item 4.4.4: 7 "Seats, lifesaving appliances and items of 8 substantial mass and their supporting structure shall 9 not deform or dislodge under any loads up to those 10 specified in 4.3.4, 4.3.5 and table 4.3.3 in any manner 11 that would impede subsequent rapid evacuation of 12 passengers." 13 So a rather specific target being identified by the 14 language. 15 A. Yes. 16 Q. Then there are tables and paragraphs specified at the 17 back, 4.3.4, 4.3.5 and table 4.3.3. I'm not sure 18 whether we have the tables here. We don't have the 19 tables here. Obviously there are loads being specified 20 by way of tables. 21 Look at the next page, 1015. "Criteria for testing 22 and evaluation of seats". "Purpose and scope", and then 23 "Static seat tests". 24 Then at 2.2, for example, we see: 25 "All seats to which this paragraph applies, along

Page 133	Page 135
<p>1 with their supports and deck attachments ..." 2 And then certain static forces were actually 3 enumerated and specified. 4 Also in the previous page, 1014, paragraph 4.5.4: 5 "Seats and their attachments, and the structure in 6 the proximity of the seats, shall be of a form and 7 design, and so arranged, such as to minimise the 8 possibility of injury and to avoid trapping of the 9 passengers after the assumed damage in the collision 10 design condition according to 4.4.1. Dangerous 11 projections and hard edges shall be eliminated or 12 padded." 13 Leaving aside strict questions about applicability 14 as a matter of law or by the terms of the IMO code, what 15 do you say about a code of practice or criteria set in 16 this rather specific manner, with the objective clearly 17 delineated and with specific breaking strength, put it 18 this way, being identified, rather than to leave it such 19 as "shall be secured"? 20 A. It will be much more satisfactory for everybody, 21 including the surveyors. 22 Q. And obviously it's a matter of trying to work out what 23 the numerical figure is? 24 A. There are a substantial number of difficulties there. 25 There are also difficulties associated with testing.</p>	<p>1 A. Yes, I think it's invaluable and a number of other areas 2 of jurisdiction have adopted these sorts of words, these 3 types of words. 4 THE CHAIRMAN: For high-speed craft or for all craft? 5 A. No, for -- well, for all craft within their jurisdiction 6 in national waters. 7 THE CHAIRMAN: Thank you. 8 MR SHIEH: We had a little debate yesterday about the 9 applicability of the Blue Book and of the 1995 10 Instructions. I'm not going to dwell too much or for too 11 long on that, because by and large they provide for 12 similar criteria, except for the hull thickness issue. 13 But just touching on that. Could I ask you to look 14 at -- you mentioned that there could well be -- I mean, 15 you fairly said that it could well be a matter of 16 speculation as to the draftsman might have engaged in 17 let's say a process of consultation or discussion prior 18 to the 1995 Instructions being promulgated in January 19 1996. 20 A. Yes. 21 Q. Now, we haven't actually heard from the draftsman or 22 know the drafting history or heard anything from Mardep 23 about this, although obviously they're in a position to 24 tell us. But leave that to one side. Could I ask you 25 to look at marine bundle 8, to look at the requirements</p>
Page 134	Page 136
<p>1 You mentioned some values, criteria for testing of 2 seats. They took several years of refinement and trying 3 to understand how you could apply loads to seats in 4 certain positions, and I think Dr Cheng demonstrated in 5 his evidence that it was difficult to apply loads to the 6 back of the chair because the chair back deformed, 7 rather than applied load to the whole seat. So it can 8 be done, but it's quite a difficult process. 9 I would also accept that it's quite an expensive 10 process and the cost of the seats is extremely high for 11 a high-speed craft/vessel. 12 Q. Thank you. When you mentioned the cost of the seat is 13 extremely high for a high-speed craft vessel, you mean 14 therefore such an elaborate scheme of testing might well 15 be worth it, if you are talking about expensive seats? 16 A. There needs to be a balance struck. I'm only mentioning 17 that there are other factors that would have to be 18 considered. To go from a chair which probably costs 19 a few dollars to one costing several thousand dollars -- 20 I'm talking US dollars -- is a big change. 21 Q. But do the considerations mentioned in the high-speed 22 craft rules or guidelines have any relevance to vessels 23 generally or a vessel such as Lamma IV? Because it 24 mentions matters such as to avoid injuries, for example, 25 during evacuation.</p>	<p>1 of the two sets of regulations about the sorts of plans 2 that had to be submitted. 3 Look at marine bundle 8. First of all, the Blue 4 Book requirement as to drawings, page 1787. That's the 5 Blue Book requirement as to the sort of drawings that 6 had to be submitted. 7 A. Yes, sir. 8 Q. "Submission of Plans", and you can see "General 9 Arrangement", "Midship Section", "Lines", "Hydrostatic 10 curves", "Boilers", "Propeller", "Oil Fuel", et cetera. 11 And then please look at the 1995 Instructions 12 equivalent as to plans or drawings required, at 13 page 1860 of the same bundle. 14 "Drawings approved by classification Society. 15 The Department accepts drawings of hull 16 construction, machinery ... approved by a recognised 17 classification. One copy of each of those ..." 18 Sorry, paragraph 1. Please move up. 19 "Submission of Plans. 20 The plans and particulars as marked with asterisks 21 in the following tables, for vessels classed or not 22 classed ... are required to be submitted for approval." 23 And then you can see the table. It actually sets 24 out if your vessel is classed, then you submit so and 25 so, a category of plans, but if you are classed, you</p>

Page 137	Page 139
<p>1 submit some other categories of plans, many of which 2 overlap. 3 The General Arrangement -- and you can see plans 4 such as "Profile, Deck and Bulkhead". Do you see that? 5 A. Yes. 6 Q. Moving down. "Shell Expansion". Those are absent, 7 those specific descriptions of drawings are absent from 8 the Blue Book stipulation as to required drawings. You 9 see that, Dr Armstrong? 10 A. Yes, I see that. 11 Q. In our case, I think I can safely tell you that the 12 plans were actually submitted I think at the beginning 13 of 1995. I think it's January 1995. I don't think 14 I need to actually turn up the actual page number. They 15 were submitted January 1995. 16 So what does this -- of course you have seen the 17 drawings that have been submitted. They include, 18 specifically, drawings entitled "Profile, Deck and 19 Bulkhead", "Shell Expansion" and the like, which are 20 specifically required by the 1995 Instructions but not 21 by the Blue Book. 22 A. (Witness nods). 23 Q. Does that tell you anything about whether or not plans 24 or ship construction are already designed with a view to 25 specific requirements in the 1995 Instructions? Or</p>	<p>1 At the end of the day, it probably doesn't matter how 2 many drawings are submitted if someone is going to just 3 rubber-stamp them with "seen" on them. 4 I think, of course, it is good to have more drawings 5 with more detail on them. 6 Q. Dr Armstrong, I'm not talking about the differential 7 between whether or not a vessel is classed as opposed to 8 whether a vessel is not classed. I was drawing your 9 attention to the fact that in our case, we have seen 10 drawings of General Arrangement, we have seen drawings 11 for Profile and Deck, we have seen drawings of Shell 12 Expansion which are specifically named drawings that are 13 named in the 1995 Instructions for the not-classed 14 column, whereas in the Blue Book we don't see any of 15 those descriptions of drawings as being -- 16 THE CHAIRMAN: Perhaps you could have a look at the Blue 17 Book, page 1787, and help us as to item (c). What is 18 encompassed in "Lines"? 19 A. "Lines" represent the shape of the hull. 20 THE CHAIRMAN: So do any of the drawings that are stipulated 21 in the 1995 Rules fall within the compass of that 22 description, "Lines". 23 A. Both sets of them include lines, the 1995 at item A2 and 24 the Blue Book at item (c). 25 THE CHAIRMAN: Sorry, which of the ones in 1995, spelt out</p>
<p>Page 138</p> <p>1 would that be a matter of speculation or inference, that 2 you don't think it's within your expertise? 3 It's something that we will address by way of 4 submissions anyway. But can you help? 5 I'm just thinking whether or not submission of 6 profile and deck drawings and shell expansion drawings 7 are something so familiar to people in the trade that 8 even without express stipulation, you have to submit 9 anyway. And if so, then the strength of the argument 10 that I have just put forward may well diminish. What do 11 you have to say about that? 12 Do you see the point I'm getting at? 13 A. Yes, I'm just not sure how to answer it informatively. 14 I think much depends, for example, on vessels not 15 classed as to how much ownership of safety is going to 16 be taken by the authority that's signing them off. I'm 17 referring to, for example, stamping drawings as "seen". 18 The 24-volt navigation light drawing is stamped "seen", 19 not "approved", and yet I think those sorts of drawings 20 should be approved. Certainly with a class society, 21 they would take ownership, along with the owner, of 22 course, for safety of the ship. So I think, referring 23 to the two columns in the table, there's a big 24 difference between how people address the risk between 25 class and Mardep as it was in 1995, which is long ago.</p>	<p>Page 140</p> <p>1 in detail, would fall within lines? 2 A. Item A2. 3 THE CHAIRMAN: A2, yes. That's the only one, is it? 4 A. That's the only one, yes. 5 MR SHIEH: The potential line of thinking I'm getting at, 6 Dr Armstrong, is if Shell Expansion, Profile, Deck and 7 Bulkhead, these sort of drawings as specifically named 8 are only required in 1995, but not Blue Book, then -- 9 A. No, but they were submitted, of course. 10 Q. Yes. So the line that I'm trying to get at is, does 11 that provide any inkling towards whether or not people 12 might already be submitting plans with an eye on the 13 precise requirement of 1995? 14 A. I understand. Indeed, there is very little definition 15 here of what structural plans are required in the Blue 16 Book. 17 Q. That's why I was suggesting or providing an alternative, 18 as a matter of fairness. If, for example, in the trade, 19 the same kind of plan, Shell Expansion or Profile, Deck 20 and Bulkhead, are already subsumed in some generally 21 described kind of plans in the Blue Book anyway, then it 22 may be one can't read too much into the fact that these 23 1995-peculiar plans have been submitted in early 1995. 24 A. It suggests to me, reading through it, that in drafting 25 the 1995 Regulations they were trying to bring it</p>

Page 141	Page 143
<p>1 up-to-date with practice.</p> <p>2 Q. All right. So it may be that people are submitting</p> <p>3 these kind of plans and therefore the draftsman of the</p> <p>4 1995 Instructions could well be taking that into account</p> <p>5 in specifying the kind of plans that they want people to</p> <p>6 submit?</p> <p>7 A. Yes, I agree.</p> <p>8 Q. Could I then ask you to consider -- it's a very small</p> <p>9 point -- miscellaneous bundle, page 132. This is the</p> <p>10 calculation, the preliminary trim and stability booklet</p> <p>11 calculation done by Naval-Consult in Singapore.</p> <p>12 Page 132 contains that reference to GM at</p> <p>13 equilibrium. What's the GMT requirement under</p> <p>14 schedule 3, do you remember?</p> <p>15 A. Yes. I'm just trying to check whether this is intact</p> <p>16 stability or damage stability. It is damage stability</p> <p>17 on page 132, okay.</p> <p>18 The requirement for GM is 0.050.</p> <p>19 Q. Yes. The reason I ask is that page 142 is damage.</p> <p>20 Page 142 is "Steering &amp; tank room damage", and the</p> <p>21 requirement is 0.05. That was the one I think Mr Mok</p> <p>22 asked you to look at.</p> <p>23 A. Correct.</p> <p>24 Q. It only puzzles me slightly but you might have corrected</p> <p>25 yourself, because in answering Mr Mok's question, you</p>	<p>1 mean -- I don't want to put words into your mouth, but</p> <p>2 obviously I'm right, you'll tell me I'm right; if I'm</p> <p>3 wrong but you can modify it, then tell us. Are you</p> <p>4 suggesting that since these are all guidelines anyway</p> <p>5 and not stipulated compulsory law, there's a good deal</p> <p>6 of discretion in the Marine Department? So it's not</p> <p>7 a case of all or nothing. It's not a case of either</p> <p>8 it's entirely retrospective or it's entirely</p> <p>9 not-retrospective, and it must depend on the particular</p> <p>10 requirement in question and the way the particular</p> <p>11 shipbuilder had tried to persuade Mardep, or the way</p> <p>12 Mardep had tried to persuade the particular shipbuilder?</p> <p>13 A. Yes. Thank you. Because ships are quite often</p> <p>14 different to each other, and because people are always</p> <p>15 exploring novel ideas, there has always been some area</p> <p>16 of flexibility in the regulations. Even SOLAS has</p> <p>17 an exemption clause for anything in SOLAS, as long as</p> <p>18 a good case can be made for it, and exemptions are</p> <p>19 sought. It's not easy with SOLAS, but it's not too hard</p> <p>20 with vessels operating closer to shore. As long as the</p> <p>21 overall safety of the craft is not compromised, it is</p> <p>22 quite often possible to balance one safety item against</p> <p>23 another.</p> <p>24 Q. So let's say in principle, if the "new requirement" in</p> <p>25 the 1995 Instructions are a matter of grave importance,</p>
Page 142	Page 144
<p>1 say you also want to look at 132, but 132 is not damage</p> <p>2 stability; it's intact, I think.</p> <p>3 A. I think you're right, yes.</p> <p>4 Q. So basically we need not concern ourselves with</p> <p>5 page 132?</p> <p>6 A. 132 is intact stability.</p> <p>7 Q. Right. Okay. Thank you.</p> <p>8 Again on the subject of the difficulties we have</p> <p>9 over whether it's Blue Book or 1995, you mentioned there</p> <p>10 is this one-year period, early 1995 until early 1996,</p> <p>11 where there could be this rather odd situation whereby</p> <p>12 if you actually look at the text of the rule, it</p> <p>13 covers -- if you look at the text of the 1995</p> <p>14 Regulations, they actually say in terms they apply to</p> <p>15 new vessels, the keels of which were laid a year ago.</p> <p>16 A. Yes.</p> <p>17 Q. And there is this conundrum about retrospectivity.</p> <p>18 A. Yes.</p> <p>19 Q. And Mr Mok was asking you whether it's fair to apply it</p> <p>20 retrospectively in this manner, when people have</p> <p>21 actually done work by reference to the pre-existing</p> <p>22 standard.</p> <p>23 A. Yes.</p> <p>24 Q. You mention the point that the matter can be raised and</p> <p>25 subject to mutual negotiations. Do I take you to</p>	<p>1 or a recent discovery led to, let's say, the imposition</p> <p>2 of a very stringent standard, it may well be, you would</p> <p>3 suggest, that yes, it must apply, even though it might</p> <p>4 carry a degree of retrospectivity? Whereas for other</p> <p>5 requirements, depending on its nature or gravity, it</p> <p>6 could be negotiated around?</p> <p>7 A. Yes, and there are plenty of examples of that. New</p> <p>8 legislation was introduced within about six weeks of the</p> <p>9 9/11 disaster, for example, requiring vessels to have</p> <p>10 AIS. That happened very, very quickly. I might have</p> <p>11 the timing wrong, but it was certainly very rapid. So</p> <p>12 there are events that can stimulate very quick changes</p> <p>13 to the legislation, and of course the AIS example,</p> <p>14 although at an international level, was applied to all</p> <p>15 ships.</p> <p>16 Q. But it would not be a correct mindset -- I'm not talking</p> <p>17 about interpretation of law, I'm talking about</p> <p>18 administering of safety standards. It would not be</p> <p>19 a healthy or correct mindset to take a rigid line and</p> <p>20 say, "Oh, it comes into effect in January 1996. Then</p> <p>21 I only apply to things done after 1996, and I disregard</p> <p>22 that wording written by whoever, that it applies to new</p> <p>23 vessels". It won't be a correct mindset to adopt this</p> <p>24 rigid mentality of not applying it?</p> <p>25 A. I have known people who have done that, but by and large</p>

Page 145	Page 147
<p>1 there's usually some flexibility.</p> <p>2 Q. Thank you. In the questioning concerning the aft peak</p> <p>3 bulkhead, a good deal of questions were asked about</p> <p>4 whether or not there is any numerical definition of how</p> <p>5 far an aft peak bulkhead should be and matters of that</p> <p>6 sort. That brings me back to I think the evidence that</p> <p>7 you gave first time round. Let me try to summarise the</p> <p>8 result of that debate and see whether you would agree</p> <p>9 with me.</p> <p>10 In terms of numerical calculations and GMT or margin</p> <p>11 line is concerned, they are taken care of by a set of</p> <p>12 rules concerning floodable length and margin line</p> <p>13 immersion, 0.1L and all that. If you want to talk about</p> <p>14 numbers, those are the numbers. But the requirement of</p> <p>15 aft peak bulkhead being a generally worded concept is</p> <p>16 unrelated to numbers.</p> <p>17 A. Yes.</p> <p>18 Q. It has its role to play, otherwise you say you wonder</p> <p>19 why it's there. Therefore, could it be said that there</p> <p>20 could be a number of ways in which casualties can occur</p> <p>21 and things might go wrong, and therefore whilst</p> <p>22 numerical requirements, calculational requirements could</p> <p>23 be one form of prescribing standard requirements, the</p> <p>24 inclusion of a requirement, of a general requirement of</p> <p>25 an aft peak bulkhead adds a buffer to that?</p>	<p>1 vessel as built -- the line of questioning put to you</p> <p>2 appeared to be going along the lines that there were</p> <p>3 ample reasons not to treat the frame 1/2 as an aft peak</p> <p>4 bulkhead but to treat the bulkhead between tank and</p> <p>5 engine as an aft peak bulkhead.</p> <p>6 But the question I want to ask you is this.</p> <p>7 Consider yourself a Marine inspector looking at this</p> <p>8 vessel in 1996. Seeing that at frame 1/2 there is</p> <p>9 a bulkhead, seeing that between tank and engine there is</p> <p>10 a bulkhead, which would you think, as an inspector,</p> <p>11 would be the natural candidate to be regarded as the aft</p> <p>12 peak bulkhead as required by the Blue Book? Which would</p> <p>13 be the more natural candidate?</p> <p>14 A. The more natural one for me would be the one at</p> <p>15 frame 1/2.</p> <p>16 Q. So the natural mindset, leaving aside the fact that we</p> <p>17 now ex post facto try to look backwards and try to see</p> <p>18 what had happened, the natural mindset would be to say,</p> <p>19 "Well, this being the aft peak bulkhead as required, see</p> <p>20 if it's watertight and if not, see why it should not be</p> <p>21 watertight"?</p> <p>22 A. Yes.</p> <p>23 Q. Rather than to -- and if no convincing reason can be put</p> <p>24 forward, then make it watertight?</p> <p>25 A. Draw it to someone's attention to make it watertight,</p>
Page 146	Page 148
<p>1 A. Yes, I agree wholeheartedly with that.</p> <p>2 Q. And one mustn't be hamstrung by the fact that, "Oh,</p> <p>3 numbers are there already. Anything above the numbers,</p> <p>4 we don't need it." Would that be a healthy mentality to</p> <p>5 matters such as life?</p> <p>6 A. I think the numbers are necessary as well.</p> <p>7 Q. Yes, but you said not sufficient?</p> <p>8 A. But not necessarily the be-all and end-all, I agree.</p> <p>9 Q. Because, for example, questions were asked that, "Oh,</p> <p>10 the aft peak bulkhead would only enclose a volume at the</p> <p>11 end where buoyancy is limited", but we have seen that</p> <p>12 buoyancy turn out to be crucial in our case.</p> <p>13 A. Yes.</p> <p>14 Q. And although, of course, during the floodable length</p> <p>15 numerical exercise of the matter, people are mandated to</p> <p>16 do it by reference to one-compartment flooding only,</p> <p>17 this aft peak bulkhead requirement adds a dimension of</p> <p>18 safety on top of that one-compartment flooding scenario?</p> <p>19 A. Yes.</p> <p>20 Q. You would agree with that?</p> <p>21 A. Yes, I do.</p> <p>22 Q. Coming to the sort of mentality that a prudent inspector</p> <p>23 should adopt at the time of passing this vessel -- I use</p> <p>24 that word rather broadly, "passing this vessel" in terms</p> <p>25 of approving the plans and also signing off on the</p>	<p>1 yes.</p> <p>2 Q. Yes. Rather than to say, "Ah, let's see how we can</p> <p>3 actually justify making it non-watertight".</p> <p>4 A. It's a reasonably trivial task to make it watertight.</p> <p>5 THE CHAIRMAN: Because the bulkhead is being constructed in</p> <p>6 a way that it is watertight, save for the hole that's</p> <p>7 being put in the bulkhead.</p> <p>8 A. Correct. Although there is still the difficulty of</p> <p>9 10 per cent L when considered from the steering gear</p> <p>10 compartment damage.</p> <p>11 MR SHIEH: Lastly, could I ask you to look at the question</p> <p>12 of the rudder stock. Could I ask you to look at marine</p> <p>13 bundle 2, drawings, page 233. In fact the series of</p> <p>14 drawings start at page 230.</p> <p>15 When Mr Mok asked you questions, he was</p> <p>16 concentrating on the intrusion of the propeller shaft</p> <p>17 into the engine room.</p> <p>18 A. Yes.</p> <p>19 Q. Could I ask you, by reference to these few drawings, to</p> <p>20 discuss or address the question of the rudder stock</p> <p>21 intrusion into the steering compartment? Because we can</p> <p>22 see the rudder stock in a general way at page 230, but</p> <p>23 I think at page 233 we see it in greater detail.</p> <p>24 A. If you could give me a moment, please. I need to</p> <p>25 understand. Okay, I understand. You're looking for</p>

Page 149	Page 151
<p>1 a general explanation of how this works and becomes 2 watertight? 3 Q. Or the risk that it entails of -- 4 A. The risk that it entails, thank you. 5 If we look at page 232, in the middle of the 6 diagram, there is a section through the rudder and maybe 7 we can put the cursor a bit lower down. Thank you. 8 There. We have a shaped tapered form which is the 9 rudder. 10 Q. Yes. 11 A. It probably is fairly obvious that it rotates about 12 a centreline, which is the centreline of the rudder 13 stock, which is the vertical post that extends outwards 14 from the blade of the rudder. Just above the rudder is 15 the shell of the ship. Just two thin lines, a little 16 bit higher up the cursor -- thank you. I think that's 17 okay. Just there where the cursor was. Can we lift the 18 cursor a little up and a little to the right or left, 19 and up a bit more and to the right, please. 20 Just above that there are two lines close together, 21 parallel, and that is meant to be the shell plating 22 thickness. So that's the outside of the ship. We have 23 to make that watertight. The rudder stock passes 24 upwards through a bearing which may be some -- it can be 25 various materials. Here it's called a Morse cutlass</p>	<p>1 so I won't go into details with that. That's marked at 2 item 6, for example, the bearing material. 3 Above that, almost at the top, you can see an oval 4 shape cut into the rudder stock, and that is for a key 5 to attach the tiller on, which would move the rudder 6 from side to side. 7 So the only thing I haven't explained, Mr Shieh, is 8 the device that keeps the water out. You can see it 9 dotted in this diagram as a sort of L-shape on either 10 side. 11 Q. Unnumbered? 12 A. Unnumbered, yes. The reason it's unnumbered is it's on 13 the next sheet, page 233. Without going into details, 14 you can probably see the rudder stock on the left-hand 15 side. It's coming up -- we can't see -- can see? Can't 16 see the shell plating in this particular drawing, 17 because remember the rudder stock is coming up through 18 a tube. This is called the rudder trunk, and I think, 19 if we can zoom in -- just where the cursor was, very 20 good -- it says "Alum rudder trunk" at the lower part of 21 the upper drawing. Okay. Aluminium rudder trunk. So 22 that is, if you like, an extension of the shell plating. 23 Above that, there is a stuffing box. In fact it's 24 called that, I see, number 2 on the left-hand side, 25 which is a circular fabrication. I'm not sure what the</p>
<p>Page 150</p> <p>1 bearing on the left-hand side of where the cursor was. 2 I don't need to bother you with details of that. It is 3 not a watertight connection, but it is very tight 4 tolerance, shall we say. 5 On either side of that bearing, there is a hashed 6 tube. So the tube passes up above the ship's plates. 7 That's shown with the diagonal line shading. Item 1. 8 And then on top of that there is a flange, horizontal 9 flange. The whole thing is supported by a girder, which 10 is quite a substantial girder, which is behind the 11 figure "0" with a circle around it, and extending on 12 both sides of the tube, which is marked as "1". You can 13 see it's got a "10" with a wavy line underneath it on 14 the left-hand side, which is indicating the girder is 15 10 mm thick. 16 So we have a tube with the rudder stock hanging down 17 through it, and at the moment there's nothing to stop 18 the water coming in and there's nothing to stop it 19 falling out of the ship. So above the tube number 1 is 20 fitted a watertight seal, which I'll go into in 21 a second, to keep the water out. And then above that, 22 you'll see a sort of bridging structure which is 23 carrying another bearing, which holds the rudder and the 24 rudder stock up so it doesn't fall out of the ship. 25 That doesn't play any part in the watertight integrity,</p>	<p>Page 152</p> <p>1 material is, without looking it up. Possibly aluminium. 2 Then inside that there is some soft packing material, 3 maybe a sort of fibrous rope type of material, and that 4 can be pushed down with item 1, which is called 5 a packing gland, which is pushed down by the forces of 6 the bolt on the right-hand side where the cursor is. 7 But there is a ring of bolts, there's not just one of 8 them. There's a number of them that are spaced around 9 the periphery of that upper gland. 10 So this complicated arrangement is required to try 11 and keep that watertight. You can see I think there are 12 a number of places where it can leak, for example on the 13 left-hand side, under the number 2 with a circle through 14 it, there is a bolt and an attempt made to keep that 15 watertight by putting in a gasket, and there is the word 16 "gasket" there. And I'm sure you can understand that 17 that is kept watertight by a bolt, not actually a bolt, 18 it's a stud with nut on it, and if the rudder should 19 have a force such as you get from grounding from 20 underneath, it's relatively simple to break the threads 21 on the stud and water is admitted. 22 Q. Thank you. So that would be the risk involved in this 23 penetration or breach of the underside? 24 A. Yes. There is one other risk, if I may go back to 25 drawing 232.</p>

Page 153	Page 155
<p>1 Q. Yes.</p> <p>2 A. And slightly to the left, please. Thank you.</p> <p>3 You can see that the rudder is in close proximity to</p> <p>4 the shell, the top of the rudder. If the vessel should</p> <p>5 go aground at anything other than 0 speed, there is</p> <p>6 a risk of bending the shaft and in -- the rudder stock,</p> <p>7 I should say, bending the rudder stock. If that should</p> <p>8 happen, then water can escape around the lower bearing.</p> <p>9 And there is also the risk of the rudder itself</p> <p>10 penetrating the hull plating. That has been reasonably</p> <p>11 well recorded as being an event that happens.</p> <p>12 Q. Thank you, Dr Armstrong. I said that's the last</p> <p>13 question, but I have one point for clarification.</p> <p>14 Expert bundle 2, page 928 -- this will be the last</p> <p>15 question -- the table that you compiled in respect of</p> <p>16 calculations.</p> <p>17 Just so that I have it absolutely clear in my mind,</p> <p>18 in the middle, above "1998", this is, as you say, from</p> <p>19 the tank room perspective; correct?</p> <p>20 A. Yes.</p> <p>21 Q. Because tank room longer than 0.1L, so tank room is</p> <p>22 capable of independent calculation as a floodable one</p> <p>23 compartment?</p> <p>24 A. Correct.</p> <p>25 Q. I say "one compartment"; for the purpose of</p>	<p>1 long week. I have no further questions for you.</p> <p>2 A. Thank you.</p> <p>3 THE CHAIRMAN: Just one remaining matter, and that is the</p> <p>4 issue of the measurement of the foam in the upper deck</p> <p>5 of Lamma IV. Have you been able to address that, or is</p> <p>6 someone else going to assist us? That is, to what its</p> <p>7 actual thickness is.</p> <p>8 A. Yes. I do not know, sir, at the moment what arrangement</p> <p>9 have been made.</p> <p>10 THE CHAIRMAN: Mr Shieh, can you help us as to that?</p> <p>11 There's an outstanding matter, and it is whether or not</p> <p>12 the foam that's used in the sandwich between the</p> <p>13 fibreglass on the upper deck floor, if I can call it</p> <p>14 that, is as designed, which I think is 15 mm --</p> <p>15 A. 25, I think.</p> <p>16 MR SHIEH: 25.</p> <p>17 THE CHAIRMAN: Is it that thickness or not?</p> <p>18 MR SHIEH: Yesterday we left it at requesting the police to</p> <p>19 actually get on board, on the deck to measure it. I'm</p> <p>20 not sure whether or not that physically --</p> <p>21 THE CHAIRMAN: That's being attended to?</p> <p>22 MR SHIEH: I hope so. The request has been made in the</p> <p>23 hearing. I hope it's been attended to.</p> <p>24 THE CHAIRMAN: Mr Mok?</p> <p>25 MR MOK: I don't know about this, but I'll certainly check</p>
Page 154	Page 156
<p>1 one-compartment flooding?</p> <p>2 A. Yes.</p> <p>3 Q. So for the purpose of one-compartment flooding, tank</p> <p>4 room already fulfilled the 0.1L requirement?</p> <p>5 A. Correct.</p> <p>6 Q. So it is really the 1998, "With watertight door" row</p> <p>7 which would have counted as the relevant calculation for</p> <p>8 "Tank room only", one-compartment flooding calculation?</p> <p>9 A. Correct.</p> <p>10 Q. Now, the row below, "With ballast; 1998; with no</p> <p>11 watertight door", failing the margin line test, that</p> <p>12 would actually not have been required for the purpose of</p> <p>13 one-compartment flooding if you look at it from the</p> <p>14 perspective of tank room; correct?</p> <p>15 A. Yes, correct.</p> <p>16 Q. Because tank room already fulfils 0.1.</p> <p>17 A. Yes.</p> <p>18 Q. That, more appropriately, is a 0.1L plus one-compartment</p> <p>19 flooding scenario --</p> <p>20 A. Yes.</p> <p>21 Q. -- if you look at it from the perspective of the</p> <p>22 steering gear compartment; correct?</p> <p>23 A. Correct.</p> <p>24 MR SHIEH: Thank you.</p> <p>25 Thank you very much, Dr Armstrong. It's been a very</p>	<p>1 on it.</p> <p>2 THE CHAIRMAN: Yes.</p> <p>3 Well, Dr Armstrong, thank you very much for the</p> <p>4 assistance that you've given us so far. There is more</p> <p>5 assistance that we will be seeking from you in due</p> <p>6 course as to the second and third aspects of our report.</p> <p>7 But thank you very much for all the help you've given us</p> <p>8 in what must be a very long week for you, and we wish</p> <p>9 you safe travel.</p> <p>10 A. Thank you very much, sir. Thank you.</p> <p>11 THE CHAIRMAN: Feel free to leave the witness box.</p> <p>12 (The witness withdrew)</p> <p>13 MR MOK: Mr Chairman, there is a matter that I wish to</p> <p>14 update the Commission on.</p> <p>15 THE CHAIRMAN: Yes?</p> <p>16 MR MOK: One of the matters that you asked Dr YK Cheng to</p> <p>17 follow up was to test the light bulbs.</p> <p>18 THE CHAIRMAN: Yes.</p> <p>19 MR MOK: He has already completed a report on that, and</p> <p>20 according to him, I understand that he has certain</p> <p>21 interesting findings. I haven't read it myself yet.</p> <p>22 THE CHAIRMAN: It's reached me.</p> <p>23 MR MOK: I wonder whether or not you will wish, or the</p> <p>24 parties may wish, to recall him.</p> <p>25 THE CHAIRMAN: The Commission would like to hear from him</p>

Page 157	Page 159
<p>1 again. We thank him for what he's provided, but we'd 2 like to hear his oral testimony. 3 MR MOK: Thank you. Maybe that can be scheduled later. 4 THE CHAIRMAN: Yes. 5 MR SHIEH: Mr Chairman, this being 4.25 on a Friday 6 afternoon, normally speaking one might suggest that we 7 call it a day, but we have Mr Tang Ying-kit who 8 witnessed the wake in the waves at almost the point of 9 -- well, the time of impact, or shortly before the time 10 of the impact. 11 I understand he has been arranged to attend the 12 hearing today. His evidence need not and should not 13 take very long. 14 THE CHAIRMAN: We'll accommodate him. Please call him. 15 MR SHIEH: Yes. May I please now have Mr Tang Ying-kit. 16 MR TANG YING-KIT (affirmed in Puntì) 17 (All answers via interpreter unless otherwise indicated) 18 Examination by MR SHIEH 19 MR SHIEH: Mr Tang, thank you very much for attending this 20 hearing at rather short notice. The reason we require 21 your assistance is that during the course of the expert 22 evidence, an issue has arisen to which your evidence 23 concerning what you saw shortly prior to the collision 24 could be of some assistance. We are grateful for you 25 agreeing to come. We know that you have suffered</p>	<p>1 single, living with family at above address ... On 2 21 February 2007, I entered Hongkong Electric Company 3 and became a staff member of the information technology 4 department. My work place is at the Hongkong Electric 5 Centre, Kennedy Road ..." 6 I should have said, you have also received 7 university education. 8 Then moving on: 9 "I remember that sometime in early June 2012, 10 I learnt that the recreation department of my company 11 organised a social event to watch fireworks display on 12 July 1 and October 1 respectively. I enrolled in the 13 event. Around two weeks later, the name list for the 14 event was released. I learnt that I was allocated by 15 lot drawing four tickets for the October 1 event. Then 16 I arranged to watch the fireworks display with my 17 girlfriend ... my friend Cham ... and his girlfriend. 18 Around 1.30 pm on 1 October 2012 ... my girlfriend 19 ... my friend Cham ... and his girlfriend Choi boarded a 20 ferry at Tsim Sha Tsui Ferry Pier. Then the ferry 21 sailed to Central Pier to pick up passengers, and then 22 to Ap Lei Chau Pier to pick up passengers. Eventually 23 we went to visit Lamma Island Power Plant." 24 Then I will skip over the dinner part, and I go 25 straight to the part where it says:</p>
Page 158	Page 160
<p>1 a loss, the bereavement of someone close to you. May 2 I first of all, on behalf of the Commission, express our 3 condolences to you and wish that you could have a speedy 4 recovery mentally and physically. 5 Could I have the witness's statement projected onto 6 the screen. It's police bundle A(II). The Chinese 7 version is page 190. I think in line with the previous 8 practice, we'll project the Chinese version onto the 9 screen while I read out the relevant part in English. 10 Yes. Unfortunately, for members of the public and 11 the press, the handwriting may be a little bit difficult 12 to decipher. But could I read it out. 13 Mr Tang, you can see a Chinese version of your 14 police statement that you have given to the police. 15 A. (Witness nods). 16 Q. Before coming into the witness box, have you been 17 provided with a copy of this, and if so, have you had 18 a chance of refreshing your memory as to its contents? 19 A. Yes, I have read it once. 20 Q. Thank you. I'm going to read out the relevant part of 21 it into the record, and you obviously can take a mental 22 note as to what I am reading from, mentally translating 23 it, or by looking at the screen. 24 You say: 25 "I am the above-stated Chinese male Tang Ying-kit,</p>	<p>1 "The four of us stayed on the upper deck at the open 2 area of the stern near the staircase where we could feel 3 the breeze and watch the fireworks. At that time I was 4 standing by the railings of the stern facing the sea." 5 Could I now ask you to look at a plan of the weather 6 deck which will be projected onto the screen. It is 7 a mixture of a plan of drawings where various benches 8 are, and also some photographs depicting the actual 9 appearance of those locations on the deck. 10 Can I ask you to look at the upper deck plan in the 11 middle and then see whether you could assist us in 12 identifying where you and your friends were standing at 13 the upper deck at the open area at the time the ship 14 departed? 15 You can ask the cursor to help you. You can see the 16 cursor. You can have the cursor moved up or down. 17 A. At that time, I was standing with my girlfriend at the 18 lower left-hand corner in front of the railings. At 19 that time, I was facing the stern. 20 THE CHAIRMAN: Are you describing the place where the cursor 21 is, that hand? 22 A. Correct. 23 MR SHIEH: And also where the cross is at page 598 of the 24 police bundle A(II)? There's a cross at page 598. 25 A. Correct.</p>



Page 161	Page 163
<p>1 THE CHAIRMAN: So that's marked on the starboard side of the 2 stern? 3 A. Yes. 4 MR SHIEH: Could I ask you to look back at the plan, the 5 deck plan. I believe the photograph that would best 6 enable us to see where you were standing is the one at 7 the bottom left-hand corner. That would enable you to 8 point to us where you were standing round about that 9 time? 10 If I could have the cursor moved to indicate where 11 you were standing. 12 A. A little bit to the left. This is about the place. 13 Close to the railings on the left at the stern. 14 Q. Thank you. We can mentally reconstruct it, because 15 obviously it's now deformed in the photograph. 16 I'll read on: 17 "Around 8.15 pm the same day ... 18 I'm reading on from the Chinese witness statement at 19 page 592, Chinese; the English being at page 598-3. 20 "Around 8.15 pm the same day, the ferry set sail. 21 At that time the four of us were still standing on the 22 upper deck at the open area of the stern. The four of 23 us were chatting. I was facing the sea with my back to 24 the bow. Having sailed for around 5 minutes, I felt 25 that the ferry accelerated for I saw splashes of water</p>	<p>1 What facts made you feel something unusual? 2 A. Since the vessel set sail, it had been sailing at 3 a steady speed for four to five minutes, and then at one 4 point, the engine noise became louder and it had 5 obviously accelerated, and the wake became more dense 6 and became larger. 7 Q. You said "the ferry accelerated". You said this two 8 times. Does it mean that the ferry accelerated, so went 9 faster, and then kept at the same speed and then went 10 faster again? 11 A. Yes. 12 Q. Thank you. 13 "Around four or five seconds later, I sensed that 14 something hit the ferry from the right, and the four of 15 us fell onto the floor." 16 So in your position, when you felt the ferry being 17 hit from the right, it was actually the ferry itself 18 being hit from the left; that's correct? Because you 19 were actually with your back facing the bow of the ship. 20 A. Correct. 21 Q. Thank you. 22 "I stood up immediately to help my girlfriend to the 23 sofa in the middle of the upper deck at the stern to 24 take a rest." 25 You went indoors, that is to say; correct?</p>
<p>Page 162</p> <p>1 off the stern, and the engine noise was getting louder." 2 When you say "splashes of water off the stern", 3 could you describe their appearance? Did it look like 4 waves or did it look like currents or ...? 5 A. It was like water splashes in white colour. 6 Q. Like a turbulence? 7 A. It was not a very high -- not a big wave, and it was not 8 like a turbulence. It was very dense water splashes. 9 THE CHAIRMAN: In the wake of the vessel? 10 A. Yes. It emanates from the wake of the vessel. 11 MR SHIEH: "... and the engine noise was getting louder. 12 However, I could see that the ferry did not tilt to the 13 left or to the right." 14 Could I pause here, because it may well have to do 15 with the way the Chinese was put. When you say "the 16 ferry did not tilt to the left or to the right", do you 17 mean turning to the left or to the right, or being 18 listed to the left or to the right? You know the 19 difference? Turning to the left or right, or listing or 20 tilting to the left or the right? 21 A. What I mean is that the ship did not turn to any other 22 direction; it was sailing forward, in a straight path. 23 Q. "Around two or three seconds later, I felt that the 24 ferry accelerated again. This time I felt something 25 unusual."</p>	<p>Page 164</p> <p>1 A. No. It was not indoors. 2 THE CHAIRMAN: Were these bench seats located on the open 3 deck, but in the middle? 4 A. Yes. It was bench 2 and bench 3 on the plan. At that 5 time, I helped my girlfriend to sit in the middle of 6 bench 3. 7 MR SHIEH: Thank you. So you were outdoors. 8 A. Yes, I was outdoors. 9 Q. "Then, when I turned round, I saw that the railings and 10 seats on the left side of the ferry were broken as 11 a result of an impact. Meanwhile, my friend and his 12 girlfriend also got to the sitting place where my 13 girlfriend was. Then I sensed that the ferry began to 14 tilt to the left. I went to get lifebuoys from the 15 stern. At this juncture, I heard someone yell from 16 downstairs, "Don't leave, save life first!" then 17 I sensed that the tilt sped up." 18 That means the tilt to the left; correct? 19 I don't think it's necessary to translate what I've 20 read out, because the witness can see it from the 21 screen. I was asking him one question. When he said 22 the ferry began to tilt to the left, and later he said 23 "I sensed that the tilt sped up", it meant the leftward 24 tilt sped up; correct? 25 A. In fact the tilt was towards the right. It was tilting</p>

Page 165	Page 167
<p>1 towards the direction of the sea. 2 Q. I think we have to ascertain the meaning of left and 3 right. When you say "to the right", do you mean the 4 real right side of the ship, or the right side as 5 observed by you with your back to the fore? 6 THE CHAIRMAN: Can I suggest we use the model to 7 demonstrate. 8 MR SHIEH: Yes. 9 THE CHAIRMAN: Could you give him the model. 10 I'm going to ask you to take the model of the vessel 11 and just demonstrate. 12 A. (In English) Okay. 13 THE CHAIRMAN: Perhaps you could stand up to do it. 14 A. At that time, the vessel was tilting towards that 15 direction (indicates). 16 THE CHAIRMAN: That's towards the right, you're 17 demonstrating, the starboard side at the stern? 18 A. Yes, correct. 19 THE CHAIRMAN: Thank you. 20 MR SHIEH: Then can I read on: 21 "I went to get lifebuoys from the stern ... I told 22 my girlfriend and the (two) friends that we had to hold 23 hand in hand and not let go. Around twenty seconds 24 later, the ferry sank in a little while. The four of us 25 eventually failed to hold on to each other. It was in</p>	<p>1 position a little bit outside the wheelhouse was not 2 because you either climbed or crawled or walked along 3 the deck; it was simply because you were immersed in 4 water and basically you floated up to the surface and 5 the surface happened to be a little bit outside the 6 wheelhouse? 7 A. Yes, correct. 8 Q. I'll read on: 9 "I heard someone yell, 'Don't move!' I put on 10 a life jacket to wait for help." 11 Pausing here. At this point in time, as you said 12 earlier, the ferry was in a steady state. So there was 13 a pause or stop in the sinking movement of the vessel; 14 right? It stopped sinking, put it this way. 15 A. Yes. 16 Q. "Around thirty [seconds] later, I saw lights coming from 17 outside, but I was not sure who they were." 18 THE CHAIRMAN: Is that translated incorrectly? Because it 19 says "minutes" in English. It's "seconds" in the 20 Chinese, is it? 21 MR SHIEH: It's "30 minutes", I think. The Chinese is 22 actually "30 minutes". 23 THE CHAIRMAN: Yes. I think you'd read it as "30 seconds". 24 MR SHIEH: 30 minutes, sorry. 25 "Around thirty minutes later, I saw lights coming</p>
Page 166	Page 168
<p>1 a state of chaos. Moments later, the ferry became 2 steady, and I saw only the bow above the sea. At that 3 time I was trapped in the cabin; the wheelhouse was 4 right before me facing upwards. The upper deck was in 5 a state of chaos." 6 Mr Tang, could you assist us in describing your 7 movements from where you were near bench 2 and bench 3, 8 outside on the weather deck, on the outer deck, how you 9 eventually got to inside the cabin with the wheelhouse 10 right in front of you? Because that is quite 11 a distance, between what I would call the outer deck to 12 where you finally ended up. 13 A. After helping my girlfriend to bench 3, I went to the 14 stern to fetch two lifebuoys. Then I went back to the 15 middle of bench 2. At that time, my girlfriend was 16 still sitting on bench 3, and I took the lifebuoys and 17 then crossed over the backs of the two benches and put 18 the buoys on her. Then I told my friends that we should 19 hold hands together and should not lose each other, but 20 after more than 10 seconds, the vessel began to sink and 21 the lower part of my body was already immersed in water, 22 and very soon my head was also immersed in water. When 23 I went up to the surface, I was already in the cabin, 24 already in the indoors. 25 Q. I see. So the fact that you eventually ended up at the</p>	<p>1 from outside, but I was not sure who they were. Someone 2 kicked to smash the windowpane on the upper deck, but I 3 could not tell whether it was on the left or right. 4 Then I head someone says, 'Rescue the kids first.' At 5 this point, I felt that the ferry started to go further 6 down the sea. Then I put off the life jacket to dive 7 out of the cabin through the side windowpane." 8 May I stop here. Was that a windowpane that was 9 smashed by the people outside? 10 A. Yes, it was a windowpane. 11 Q. So you swam out through a broken window? 12 A. Yes. 13 Q. But when you swam out, you were already submerged again, 14 immersed again? 15 A. Yes. I was still in the water after I swam out. 16 Q. I think I might have actually not put the matter very 17 well. 18 When you went outside the windowpane, was it water 19 outside or was it air outside? 20 A. In fact when I tried to swim out of the broken window, 21 the broken window was already in the water. 22 Q. I see. So you swam out the broken window and you then 23 had to float up to the water surface? 24 A. Yes. 25 Q. Thank you.</p>

<p style="text-align: right;">Page 169</p> <p>1 "Having surfaced, I saw lifebuoys on the waters and 2 managed to grab one. Very soon, the people of a passing 3 by yacht rescued me. They gave me hot water and 4 a blanket. I saw two unknown persons who had also been 5 rescued by the people from the yacht. They arranged for 6 us to rest in the cabin. Shortly, I saw Choi Ming-chi, 7 the girlfriend of my friend, who had also been rescued. 8 Later, we were taken onto a rescue launch and sent to 9 Kwong Wah Hospital for treatment. 10 Question: Do you know who of the recreation 11 department is in charge of this event? 12 Answer: I do not know, but sometime in September, 13 someone named Fok Wing-kei rang me to verify if we would 14 attend the event. I know that Lai Ho-yin offered help 15 in organising the event that day. I know no-one else 16 then. 17 Question: Have you got Cham's ... phone number?" 18 I think we'll skip that. 19 "When the ferry set sail, was the speed high?" 20 Answer: I remember when leaving Lamma Island for 21 Victoria Harbour, the speed was not high. 22 Question: At the time of the collision, did you 23 hear any sound of horn from the vessel, or from other 24 vessels? 25 Answer: No, definitely."</p>	<p style="text-align: right;">Page 171</p> <p>1 twice. 2 Question: How could you tell that the ferry 3 accelerated? 4 Answer: It was obvious that the speed was getting 5 high suddenly." 6 Did you correlate that to the splashes that you saw, 7 the acceleration? 8 A. Yes. 9 Q. So you formed the impression of the ship accelerating at 10 least partly because you saw the water splashes, white 11 water splashes at the back of the vessel? 12 A. You can put it that way. 13 THE CHAIRMAN: You told us also that you heard the engine 14 sound being louder. 15 A. Yes. This is another part of it. 16 MR SHIEH: Thank you. 17 "When you saw the left of the ferry being hit and 18 damaged, did you see any other vessels? 19 Answer: No, I did not see. 20 Question: Do you know the name of the vessel you 21 were on? 22 Answer: I do not know." 23 Mr Tang, do you confirm the truth of what I have 24 read out, subject to the questions that I have also 25 clarified with you?</p>
<p style="text-align: right;">Page 170</p> <p>1 Why were you so sure, when you say "definitely"? 2 A. Because I didn't hear it. 3 Q. It continues: 4 "During the sail, did you see who went in/out of the 5 wheelhouse? 6 Answer: No, I could not see it from the point 7 I stood. 8 Question: At the time of the collision, was any 9 message broadcasted from the vessel? 10 Answer: No. 11 Question: At the time of the collision, did you 12 take photos? 13 Answer: No. 14 Question: When did you learn ..." 15 I'll skip through that. 16 "Question: For the 'vessel collision', did you find 17 any property missing?" 18 We can skip through that. 19 "Were you injured?" 20 Answer: Scratches on both hands, and back injury. 21 Question: Are you insured? 22 Answer: No. 23 Question: At the time of the collision, did you see 24 or feel that the ferry changed direction? 25 Answer: No. I only felt that the ferry accelerated</p>	<p style="text-align: right;">Page 172</p> <p>1 A. Yes, they are correct. 2 MR SHIEH: Thank you. Mr Tang, I have finished my 3 questioning of you but could you remain in the witness 4 box because other counsel and the Commission may have 5 questions for you. 6 THE CHAIRMAN: Mr Grossman? 7 MR GROSSMAN: I'd like to pass on condolences, and I have 8 one question only about the life jacket. 9 THE CHAIRMAN: Yes. 10 Examination by MR GROSSMAN 11 MR GROSSMAN: Mr Tang, I appear here on behalf of Hongkong 12 Electric, and I want to publicly give you condolences on 13 behalf of Hongkong Electric and myself for your great 14 loss. 15 I have one question only for you. You've said that 16 when you were in the cabin, your life jacket was on but 17 you took it off to get outside. Why was that? 18 A. Because if I don't take away the life jacket, I can't 19 dive into the water to swim out of the broken window. 20 Q. There was just not enough room to get out of the window 21 with your life jacket on; is that what you mean? 22 A. No. Because if I put the life jacket on, I will stay 23 afloat and I can't dive into the water. 24 MR GROSSMAN: Okay. Thank you very much. 25 THE CHAIRMAN: Mr Zimmern?</p>

Page 173	Page 175
<p>1 MR ZIMMERN: Thank you, Mr Chairman. No, we have no 2 questions. 3 MR PAO: We have no questions. 4 THE CHAIRMAN: Mr Mok? 5 MR MOK: May I have one follow-up question from 6 Mr Grossman's question? 7 THE CHAIRMAN: Yes. 8 Examination by MR MOK 9 MR MOK: Mr Tang, earlier on you said that you had to take 10 off the life jacket in order to dive into the water and 11 out through the window. 12 A. Yes. 13 Q. What would have happened if you did not do that; that 14 is, if you did not take off your life jacket at that 15 time, what do you imagine would have happened to you? 16 A. At that time, the vessel was sinking, although not in 17 a very high speed. But I considered that if I didn't go 18 out of the window, the water would soon reach up to the 19 ceiling. So I decided to go out. 20 Q. And what would happen to you if you didn't take off the 21 life jacket and the water kept going up? 22 A. I would be submerged in water. My head would be 23 submerged in water. 24 Q. And at that juncture, if you still wished to swim 25 outside of the vessel, would you have been able to do</p>	<p>1 A. No. 2 MR SHIEH: Thank you. 3 THE CHAIRMAN: Well, your questioning now is complete, 4 Mr Tang, and you're free to leave now. Thank you very 5 much. 6 (The witness withdrew) 7 THE CHAIRMAN: Mr Shieh, can you give us any indication of 8 the sequence of evidence for next week? 9 MR SHIEH: As initially planned, there is Mr Tang Wan-on, 10 the Hongkong Electric officer, and then there is Mr Ng, 11 the Hong Kong &amp; Kowloon Ferry officer responsible for 12 training matters. 13 Then there is Mr Wong Wing-chuen, the Marine 14 Department inspector who will address for relevant 15 purposes the issue of life jackets. 16 Then there will be Captain Pryke's return to deal 17 with questions to be asked on behalf of Hong Kong 18 &amp; Kowloon Ferry. 19 THE CHAIRMAN: Yes. 20 MR SHIEH: But now we have the potential interposition of 21 Dr Cheng Yuk-ki to talk about the result of his 22 laboratory testing, the results of which reached us 23 shortly before lunch. So we would perhaps have to work 24 out how Dr Cheng is to be placed in this sequence. 25 THE CHAIRMAN: Yes. I think since Captain Pryke deals with</p>
Page 174	Page 176
<p>1 so, in that scenario? 2 A. I don't know. 3 MR MOK: Thank you. 4 THE CHAIRMAN: Mr Yeung? 5 MR YEUNG: No application. 6 THE CHAIRMAN: Mr Shieh? 7 MR SHIEH: I have no re-examination. 8 THE CHAIRMAN: Mr Tang, thank you for coming to assist the 9 Commission with your evidence. Our apologies if you've 10 been delayed in being brought on to give your evidence. 11 But it's been helpful to us. And condolences from the 12 Commission as well as to the loss of your girlfriend in 13 this tragedy. 14 MR SHIEH: Mr Chairman, I've just been reminded there may be 15 one question that I have omitted to raise with this 16 witness, but perhaps I -- 17 THE CHAIRMAN: Yes. Let's have that translated first. 18 Apparently there's one more question. 19 Yes, Mr Shieh? 20 Further examination by MR SHIEH 21 MR SHIEH: You were facing Lamma Island when you were at the 22 outer deck of the Lamma IV? 23 A. Yes. 24 Q. Could you see a very strong light at or near the ferry 25 pier?</p>	<p>1 a discrete issue in respect of his evidence which was 2 given in mid-December, that could be taken at any stage 3 next week -- 4 MR SHIEH: Yes, especially if -- 5 THE CHAIRMAN: -- to suit his availability, subject to any 6 submissions counsel have to make. 7 Mr Zimmern, this concerns you. 8 MR ZIMMERN: Yes, it does, but no, we have no comment as to 9 when Captain Pryke should give evidence. 10 THE CHAIRMAN: Thank you. 11 Mr Mok, this may or may not concern you. 12 MR MOK: Not too much, so -- 13 THE CHAIRMAN: You've no objection to that? 14 MR MOK: No. 15 THE CHAIRMAN: The sequence of the evidence to accommodate 16 Captain Pryke. 17 So there you are. 18 MR SHIEH: We will perhaps confer amongst counsel to see 19 when Dr Cheng can be interposed, subject to his 20 availability and subject to our consideration. It may 21 well be first thing Monday, while the matter is fresh in 22 our memory. 23 THE CHAIRMAN: Yes. Very well. 24 MR SHIEH: And also the report is hot off the press, and 25 subject to whether he can come --</p>

<p style="text-align: right;">Page 177</p> <p>1 THE CHAIRMAN: Yes, of course. I'll leave that with 2 counsel. But as I indicated, I think priority 3 ultimately should be given to Captain Pryke so that that 4 part of his evidence can be disposed of. 5 MR SHIEH: Yes. He's arriving Monday and it may well be he 6 needs some time to rest anyway. 7 THE CHAIRMAN: Yes, I understand that. I will leave that 8 for counsel to judge the best way to deal with it. 9 If there are no other matters, we'll adjourn until 10 Monday at 10 o'clock. 11 (5.03 pm) 12 (The hearing adjourned until 10 am 13 on Monday, 4 February 2013) 14 15 16 17 18 19 20 21 22 23 24 25</p>	
<p style="text-align: right;">Page 178</p> <p>1 I N D E X 2 DR NEVILLE ANTHONY ARMSTRONG (on former oath) .....1 3 Examination by MR MOK (continued) .....1 4 Examination by MR YEUNG .....108 5 Further examination by MR SHIEH .....112 6 (The witness withdrew) .....156 7 MR TANG YING-KIT (affirmed in Puntì) .....157 8 Examination by MR SHIEH .....157 9 Examination by MR GROSSMAN .....172 10 Examination by MR MOK .....173 11 Further examination by MR SHIEH .....174 12 (The witness withdrew) .....175 13 14 15 16 17 18 19 20 21 22 23 24 25</p>	