

Page 1	Page 3
<p>1                                   Wednesday, 6 March 2013</p> <p>2 (10.00 am)</p> <p>3           CAPTAIN NIGEL ROBERT PRYKE (on former oath)</p> <p>4 THE CHAIRMAN: Good morning, Captain Pryke.</p> <p>5 A. Good morning, sir.</p> <p>6 THE CHAIRMAN: May I remind you that you continue to testify</p> <p>7           according to your original oath.</p> <p>8 A. Yes, sir.</p> <p>9 THE CHAIRMAN: Mr Shieh?</p> <p>10 MR SHIEH: Mr Chairman, just before we recommence Captain</p> <p>11 Pryke's evidence, could I just report on the latest</p> <p>12 development about the inspection, the need of which has</p> <p>13 evaporated because of some revelations last night, that</p> <p>14 after all the wires had indeed been cut by Mardep after</p> <p>15 the collision. Initially, for some reason, it wasn't</p> <p>16 spotted or was not on the record, but eventually Mardep</p> <p>17 confirmed that for investigation purposes, the various</p> <p>18 wires that were observed to be cut, as we saw yesterday,</p> <p>19 had indeed been cut by them after the event.</p> <p>20 THE CHAIRMAN: Very good.</p> <p>21           Examination by MR SHIEH (continued)</p> <p>22 MR SHIEH: Captain Pryke, we now come back to your written</p> <p>23 report. Yesterday we stopped, I believe, at expert</p> <p>24 bundle 3, page 1130. You were commenting on the figures</p> <p>25 that had been made available to you as to fatalities in</p>	<p>1           manual, these are readily achievable. Is that really</p> <p>2 the rationale for your drawing that distinction in this</p> <p>3 paragraph?</p> <p>4 A. Yes. I think I'm drawing the distinction between</p> <p>5 technical build matters and operational matters. And</p> <p>6 operational matters, it seems to me, are relatively</p> <p>7 easier to modernise. I mean, it's only the question of</p> <p>8 having the manual printed; it's not very difficult.</p> <p>9 THE CHAIRMAN: Could you help us as to what material one</p> <p>10 would find in those various manuals, the operating</p> <p>11 manual and the route operating manual? And applying it,</p> <p>12 say, particularly to the journeys that the Sea Smooth</p> <p>13 would have been involved in. We know it went to Peng</p> <p>14 Chau once and then it went to Lamma -- I think it was on</p> <p>15 its eighth trip to Yung Shue Wan.</p> <p>16 A. The operating manual would have basic information about</p> <p>17 the equipment on the bridge, for example. Training</p> <p>18 manual speaks for itself, really.</p> <p>19 THE CHAIRMAN: What about route operating manual?</p> <p>20 A. Well, the route operating manual is -- I suppose the</p> <p>21 simplest way to describe it is it makes the operator</p> <p>22 think about the various parts of the route before the</p> <p>23 coxswain is given charge. In other words, perhaps where</p> <p>24 the anchorages are, what you need to watch out for in</p> <p>25 the anchorages, various navigation lights along the</p>
Page 2	Page 4
<p>1           marine accidents or collisions by MAISSPB. Do you</p> <p>2 remember that?</p> <p>3 A. Yes, I do.</p> <p>4 Q. That is the last part of section C.5, where you set out</p> <p>5 your observations. May I now move on to part D, where</p> <p>6 the suggested changes were discussed. The relevant part</p> <p>7 is D.5, which is page 1142.</p> <p>8 A. Yes.</p> <p>9 Q. D.5.1, "Requirements for High-speed Craft":</p> <p>10       "Paragraph 25 above notes that also high-speed local</p> <p>11 ferries are required to have an operating manual, route</p> <p>12 operating manual, training manual and maintenance</p> <p>13 manual. I would suggest a review of the current</p> <p>14 situation which appears to exempt HSC built before 2007</p> <p>15 from the new system of control in the 2006 Code.</p> <p>16 I fully understand why such vessels should be exempt</p> <p>17 from new structural requirements, but I completely fail</p> <p>18 to understand why they would be exempt from the</p> <p>19 requirement for an operating manual, route operating</p> <p>20 manual and a training manual."</p> <p>21 A. Yes.</p> <p>22 Q. That's your view. Is that dividing line because for</p> <p>23 structural matters, you can't go back and redo the</p> <p>24 vessel if it's been done pursuant to the rules in place</p> <p>25 at that time, but for things such as having an operating</p>	<p>1           route, traffic you might find in particular places,</p> <p>2 et cetera. And very often reporting arrangements on the</p> <p>3 radio.</p> <p>4 THE CHAIRMAN: Would it condescend to detail, for example,</p> <p>5 as to the recommended or suitable radar range to employ?</p> <p>6 A. Yes, it probably would. Yes.</p> <p>7 MR SHIEH: These manuals would obviously have to be</p> <p>8 tailor-made by the operator?</p> <p>9 A. Yes, that's correct. The point about them is that</p> <p>10 they're relevant to a particular craft on a particular</p> <p>11 route.</p> <p>12 Q. Which obviously calls for thinking and planning on the</p> <p>13 part of the operator?</p> <p>14 A. Yes, planning. Yes.</p> <p>15 Q. Coming back to the point which we touched upon earlier.</p> <p>16 In terms of let's say radar and technical equipment on</p> <p>17 the bridge, very often they come with English manuals or</p> <p>18 manuals in German or wherever they come from. So your</p> <p>19 suggestion of making these matters understandable to</p> <p>20 crew would again call for some work or planning or</p> <p>21 thinking on the part of the operator, because someone in</p> <p>22 the office would then have to make an effort of turning</p> <p>23 these into understandable language for the crew?</p> <p>24 A. Absolutely right. I mean, the operating manual -- for</p> <p>25 instance, if all of the crew were Chinese-speaking and</p>

Page 5	Page 7
<p>1 didn't speak English, then obviously they would have to 2 provide the operating manual in Chinese. 3 THE CHAIRMAN: Dealing with radar, and correct me if I'm 4 wrong, but the radar on Lamma IV was Furuno, was it not, 5 and there's an issue about that not being in Chinese; 6 only in English. But Furuno is a very big producer of 7 radar, is it not? 8 A. Yes. It's a Japanese company and I would expect there 9 to be a Chinese version. 10 THE CHAIRMAN: If they're anything like Japanese camera 11 companies, they produce their manuals in more or less 12 every known language, do they not? 13 A. Yes, indeed. I would fully expect a Furuno operating 14 manual to be available in Chinese. 15 THE CHAIRMAN: Thank you. 16 MR SHIEH: But sometimes these manuals come in the form of 17 a book -- I mean, even sometimes we get tired of reading 18 a camera manual. But you would actually urge the 19 operator to put some effort into perhaps distilling 20 relevant parts or salient parts and turning them into 21 proper language, understandable language? 22 A. Yes, absolutely. The point is -- 23 Q. What I'm trying to get at is sometimes there may be 24 a mentality of, "Look, this is something that comes in a 25 box. I'll just dump it on the bridge and whoever wants</p>	<p>1 The Code of the International Standards and 2 Recommended Practices for a Safety Investigation into 3 a Marine Casualty or Marine Incident (Casualty 4 Investigation Code) ... sets out the international 5 standards and recommended practices for a safety 6 investigation into a marine casualty or marine incident. 7 Chapter 16 of the Casualty Investigation Code provides 8 that the investigator carrying out a marine safety 9 investigation should have functional independence from 10 the parties involved in a marine incident and anyone who 11 may take administrative or disciplinary action against 12 an individual or organisation involved in a marine 13 casualty. This is strictly speaking not the case with 14 MAISSPB as they are a unit within Mardep. I note this 15 was also observed in an IMO audit of Hong Kong, during 16 which it was remarked that the 'degree of separation' 17 between the MAISSPB and the prosecutions unit of Mardep 18 'needs to be very carefully monitored to ensure 19 independence'. 20 Captain Pryke, perhaps you can develop this point 21 further about separation and independence between 22 Mardep, the regulator, and the authority responsible for 23 taking disciplinary action. 24 A. Yes. I think it's well understood internationally that 25 the investigation unit, its function is to investigate</p>
Page 6	Page 8
<p>1 to read it, they read it. I've done my part. If you 2 don't read it, it's your problem". There is this 3 mentality prevailing in many circles. You would 4 obviously not go along with that? 5 A. This is the whole philosophy of the designated person. 6 He is the man who is responsible for being the link 7 between the stores office, the office generally, and the 8 bridge of the ship. He is the man who would go down and 9 say to the coxswain, "Look, have you got any problems 10 with this? Can you understand this?" And he would be 11 the man to sort it out. 12 THE CHAIRMAN: Would you expect the route operating manual, 13 dealing now again specifically with Sea Smooth and its 14 voyages to and from Yung Shue Wan, to have some 15 reference to the lights emanating from the Hongkong 16 Electric typhoon shelter? 17 A. Yes, I would. It's important to point out with all 18 these safety management systems, it's a two-way thing. 19 I mean, I would expect the coxswains to be delivering 20 information to the designated person in the same way 21 that he delivers information to them. So he would very 22 quickly pick up the idea that there was a problem, if 23 there was a problem, and it would go in the manual. 24 That's how it works. 25 MR SHIEH: "D.5.2. Marine investigation.</p>	<p>1 without any sort of blame or prosecution or being on any 2 particular side. It's supposed to be completely 3 independent and come up with findings that are useful to 4 all sides, and findings that are aimed at increasing 5 safety for the future. I know very little about how 6 this works in Hong Kong. I just happen to notice that 7 it is within Mardep and that's not such a good idea. 8 What I found a little disappointing was it's not 9 easy -- and I've been through the MAISSPB website on two 10 or three occasions -- to pull out really useful safety 11 information and statistics, particularly on local craft. 12 It tends to be much more focused on bigger ships. 13 Q. When you say "pull out useful safety information and 14 statistics", you mean from Mardep? 15 A. No, from MAISSPB. In other words, what has been the 16 previous history of incidents of local passenger 17 vessels, can we extract any trends, et cetera. That's 18 the purpose of MAISSPB as I understand it, to help 19 everybody -- the operator, Mardep, the coxswain -- 20 understand what is going wrong, if anything is going 21 wrong. 22 Q. Paragraph 85: 23 "My understanding currently is that internal 24 investigation of accidents by the ferry operators is 25 patchy. Also the MAISSPB as the official marine</p>

Page 9	<p>1 accident investigation branch is firmly established 2 within Mardep. In other administrations, the official 3 accident investigation branches are completely separated 4 from the safety administration department. In the UK, 5 for example, there is the Marine Accident Investigation 6 Branch. In Australia, it is the Australian Transport 7 Safety Bureau, which covers aviation, marine and rail 8 accident investigation. In my view, consideration 9 should be given to how this might be achieved outside 10 the Mardep structure. It is important that such a body 11 is separate from the regulatory body." 12 Can you perhaps describe the manner in which these 13 two examples work, to the best of your knowledge, let's 14 say from your home jurisdiction in the UK? The MAIB is 15 a separate government department or bureau? 16 A. Yes. The MCA, the Maritime and Coastguard Agency, which 17 is, I suppose, the closest thing to Mardep, works as 18 a separate organisation under the Department of 19 Transport, and MAIB, the Marine Accident Investigation 20 Branch, also works as a separate undertaking, alongside 21 MCA but with totally separate management. And they both 22 report to the Shipping Minister. 23 Q. "Enforcement", D.5.3 -- 24 THE CHAIRMAN: Before we move on, can you remind me, did 25 Mr Wong Wing-chuen address this issue at all in his</p>	Page 11	<p>1 other ... 2 Mr Chairman, a quick look at the second supplemental 3 doesn't appear to -- 4 THE CHAIRMAN: We can come back to this, if somebody could 5 be looking through it to see if they can find it. 6 MR SHIEH: If it's actually there. 7 THE CHAIRMAN: Yes, if it is addressed. 8 MR SHIEH: If it's there, yes. Perhaps I'll move on with 9 "Enforcement" while Mr Mok and those acting for Mardep 10 look up whether or not there's anything there about the 11 MAISSPB. 12 Paragraph 86, under "Enforcement": 13 "I have seen a record of fines issued to coxswains 14 of local vessels for breaches of the COLREGs and/or 15 local speed limits. My impression is that generally 16 these fines are quite low and I am unable to judge how 17 effective the current system is." 18 But do you have any suggestion as to possible areas 19 of consideration in respect of enforcement or deterrents 20 by way of fines and punishments? 21 A. Yes. It's one thing to prosecute a coxswain for failure 22 to obey a speed limit. But I don't think that's really 23 the issue. If I may turn to what is tab 6 in my report, 24 page 1223. 25 Q. Yes.</p>
Page 10	<p>1 various statements? Mr Mok? 2 MR SHIEH: As to separation of roles? 3 THE CHAIRMAN: Well, as to the current system, as to how 4 this accident investigation unit is housed within Mardep 5 and its relationship. 6 MR SHIEH: Could I just have one moment to check? 7 THE CHAIRMAN: Yes, please. 8 If you're able to assist, Mr Mok, please do. 9 MR MOK: I'm looking for the reference, Mr Chairman. 10 MR SHIEH: It is in his second supplemental report, where he 11 set out an overview of the current regime. But can 12 I just check? 13 THE CHAIRMAN: Yes. 14 MR SHIEH: Paragraph 51, for example, at page 4177. He 15 refers to the prosecution unit. I wonder whether that 16 can be put on the screen for Captain Pryke to have 17 a look. 18 THE CHAIRMAN: Yes. Page 4177. 19 MR SHIEH: Paragraph 51. He refers to it as a prosecution 20 unit, which is probably the same as the MAISSPB. 21 A. With respect, no, it's not. 22 THE CHAIRMAN: This will be criminal prosecutions as opposed 23 to marine investigations of accidents? 24 A. Yes, that's correct. 25 MR SHIEH: Could I just check whether or not there is any</p>	Page 12	<p>1 A. This gives the details of merchant shipping, domestic 2 passenger ships, safety management code regulations. 3 And this is admittedly UK regulations, but just for 4 example, on page 4, item 9, "Enforcement": 5 "An authorised person ..." 6 Which would obviously be a Mardep surveyor: 7 "(a) may inspect a safety management system on the 8 basis of which a domestic ship safety management 9 certificate has been issued, 10 (b) may inspect a ship for the purpose of seeing 11 that these regulations are complied with. 12 (2) An authorised person exercising functions under 13 this regulation shall have the powers conferred on 14 an inspector -- 15 (3) Where an authorised person considers that 16 a ship, notwithstanding that a domestic ship safety 17 management certificate is in force in relation to that 18 ship, is unable to operate without creating a risk of 19 serious danger ... the Secretary of State may suspend 20 the ... certificate of that ship until such time as any 21 risk is removed." 22 So my idea of enforcement is more that the inspector 23 in effect ties the ship up until it's put right, rather 24 than all the time focusing on the coxswain's right or 25 wrongs. It's about the whole management of that ship,</p>

Page 13	Page 15
<p>1 and it is up to the authority, which in this case is 2 Mardep, to check whether things are going well and 3 according to the safety management plan, and if not, 4 that the safety management certificate would be 5 withdrawn and the ship is tied up. That's more my idea 6 of enforcement than fining somebody \$2,000. 7 Q. Thank you. Captain Pryke, turning on to part E of your 8 written report -- 9 THE CHAIRMAN: Before we do that, could we just have a look 10 at the footnote reference 210, where these fines have 11 been set out. Looking at paragraph 86. 12 MR SHIEH: Marine bundle 12, page 4636-19, which is 13 an email, at the bottom. I think the table is what we 14 are really looking at. The table is actually 15 page 4636-21. There is a number of codes, offence code 16 and vessel type and length and date of the relevant 17 offences. But they're all pleaded guilty, and the 18 highest of them amounted to 15,000; the lowest of them 19 was 1,000. 20 Is that the data you had in mind, Captain Pryke? 21 A. Yes. Believe me, I'm not saying it's wrong to prosecute 22 somebody for blatant rule of the road offences. I'm not 23 saying that's wrong, but I'm saying that's not the only 24 thing that ought to be considered in terms of 25 enforcement.</p>	<p>1 resulted in prosecutions. Perhaps they were egregious 2 examples of breaches. 3 A. Yes. 4 MR SHIEH: Can I now turn to part E, where you set out your 5 conclusion and summary of opinions. 6 E.2, you would suggest that consideration be given 7 to the following aspects, and you then set out 8 14 points: 9 "(1) Whether safety legislation for ferries and 10 launches carrying more than 100 passengers is made 11 common. 12 (2) Whether operators of ferries carrying more than 13 100 passengers should be required to implement a safety 14 management system. It would be appropriate for Mardep 15 to arrange or specify suitable training courses for 16 owners and coxswains. 17 (3) Whether all ferries or launches carrying more 18 than 12 passengers should be fitted with VHF radio. All 19 ferries or launches carrying more than 100 passengers 20 should be fitted with AIS, collision-avoidance radar, 21 and VHF radio. 22 (4) Whether serious consideration is given to the 23 provision of life raft capacity for all passengers [on 24 board] on longer voyages outside the harbour. It may be 25 considered that this could be implemented over several</p>
Page 14	Page 16
<p>1 THE CHAIRMAN: So that we can understand how these 2 prosecutions come about, are we to understand the email 3 at page 4636-19 to detail 11 cases of collision, 11 that 4 involved high-speed craft, which cases had been 5 investigated by the Marine Accident Investigation 6 Section, and that then led in two of the cases -- that 7 then led in four of the cases to prosecution. So it was 8 an accident investigation followed by a prosecution. So 9 there is a link between the two bodies, it would appear? 10 A. Yes. 11 THE CHAIRMAN: So a collision triggers an investigation. In 12 some of the investigations, that then leads to 13 a prosecution? 14 A. Yes. That's quite logical in some cases. But what 15 I was trying to get at was that the investigation is 16 supposed to be wider than just the offence of 17 an individual. I'm not saying it's wrong to prosecute 18 somebody who offends, but there should be a greater 19 degree of separation, in my view. 20 THE CHAIRMAN: Yes. Thank you. 21 A. I think what I'm trying to say is that the MAISSPB 22 accident report should not be purely a tool for the 23 prosecuting department. 24 THE CHAIRMAN: Well, on its face it doesn't look as though 25 it is, because it's only four out of 11 that then</p>	<p>1 years. 2 (5) Whether sufficient children's life jackets are 3 carried for every child on board, and whether the 4 statutory requirement for children's life jackets should 5 be one life jacket for every child actually on board the 6 vessel. 7 (6) Whether all coxswains of vessels carrying more 8 than 100 passengers should have a basic medical 9 examination and eyesight test at intervals not exceeding 10 5 years, and whether all seamen required to keep 11 a look-out should have an eyesight test. 12 (7) Whether legislation should permit the harbour 13 police to randomly test for drug and alcohol 14 consumption. 15 (8) Whether all vessels carrying more than 16 100 passengers should have a look-out on the bridge in 17 addition to the coxswain during the hours of darkness 18 and in reduced visibility, and whether high-speed craft 19 should have a look-out on the bridge at all times. 20 (9) Whether all passenger vessels carrying more than 21 100 passengers should have a muster list so that every 22 member of the crew is aware of his duties in the event 23 of emergency. 24 (10) Whether a small adjustment should be made to 25 the VTS boundary between the channel 67 area and</p>

Page 17	Page 19
<p>1 channel 14 area.</p> <p>2 (11) Whether a new speed limit should be introduced</p> <p>3 in the approaches to Lamma Island. As there is no</p> <p>4 specific port control for Lamma Island berths a speed</p> <p>5 limit would be an improvement to the local safety</p> <p>6 regime. This would have a negligible effect on the</p> <p>7 passage time of Lamma Island ferries.</p> <p>8 (12) Whether high-speed craft built before 2007</p> <p>9 should be required to have a route operating manual and</p> <p>10 a training manual, and whether Mardep should clarify the</p> <p>11 issue regarding carriage of a quick flashing amber light</p> <p>12 by high-speed craft. Evidence has been given that Sea</p> <p>13 Smooth was not required to display this light, however</p> <p>14 it would appear that there might be a general impression</p> <p>15 that having the light gives right of way over other</p> <p>16 vessels.</p> <p>17 (13) Given the frequency of collisions in this very</p> <p>18 busy harbour and the extreme hazard associated with</p> <p>19 high-speed collisions, whether Mardep should consider</p> <p>20 the mandating of a high-speed radar simulator course for</p> <p>21 all coxswains of high-speed craft (built before and</p> <p>22 after 2007).</p> <p>23 (14) Whether consideration should be given to</p> <p>24 removing MAISSPB from the Mardep organisation in</p> <p>25 accordance with the Code of the International Standards</p>	<p>1 MR MOK: Mr Chairman, I don't think there is a specific</p> <p>2 section in the witness statements dealing with the</p> <p>3 investigation section. But my understanding is this,</p> <p>4 that usually the frontline people are the patrol</p> <p>5 division of the police, the harbour patrol, and then if</p> <p>6 an accident is spotted or there is a report of it, then</p> <p>7 the marine investigation section would then be engaged</p> <p>8 to investigate into the cause of the accident or</p> <p>9 incident, and a report would be provided. The report</p> <p>10 will go to the relevant ranks within the Department for</p> <p>11 follow-up, to reassess whether or not any risk should be</p> <p>12 addressed and any measure should be taken to improve</p> <p>13 either the system or the procedures in the future, and</p> <p>14 then, in suitable cases, they will of course be referred</p> <p>15 for prosecution.</p> <p>16 So that's the sort of process that I understand is</p> <p>17 in place. If, Mr Chairman, you need something in</p> <p>18 writing, we can follow up by a letter or an email to set</p> <p>19 out --</p> <p>20 THE CHAIRMAN: I think it would help, for this reason, that</p> <p>21 Captain Pryke is recommending that this accident</p> <p>22 investigation body should be independent from the Marine</p> <p>23 Department.</p> <p>24 MR MOK: Right.</p> <p>25 THE CHAIRMAN: I think it would help to have information</p>
Page 18	Page 20
<p>1 and Recommended Practices ..."</p> <p>2 So these are the suggested areas for consideration,</p> <p>3 are they not, Captain Pryke?</p> <p>4 A. Yes, that's correct.</p> <p>5 THE CHAIRMAN: That paragraph 12, there is an omission, is</p> <p>6 there not? You suggest there should be an operating</p> <p>7 manual as well as a route operating manual, together</p> <p>8 with a training manual?</p> <p>9 MR SHIEH: Yes, three types of manuals instead of the two</p> <p>10 mentioned there, Captain Pryke.</p> <p>11 THE CHAIRMAN: I'm looking back at paragraph 83.</p> <p>12 A. Yes. The operating manual is more a technical thing</p> <p>13 about the craft. I consider these two to be more</p> <p>14 important in an operational safety sense.</p> <p>15 THE CHAIRMAN: Yes, I follow that. But in our evidence that</p> <p>16 we've received, we have indications of the absence of</p> <p>17 understandable equipment operating manuals causing</p> <p>18 a problem.</p> <p>19 A. Yes, I understand. Yes, I should have put that in.</p> <p>20 MR SHIEH: Mr Chairman, subject to what Mr Mok is about to</p> <p>21 clarify about whether any specific evidence has been</p> <p>22 given on behalf of Mardep on MAISSPB, I have no further</p> <p>23 questions for Captain Pryke.</p> <p>24 THE CHAIRMAN: Thank you very much.</p> <p>25 Mr Mok?</p>	<p>1 from the Marine Department as to how it is currently</p> <p>2 constituted and what, if anything, the Marine Department</p> <p>3 has to say about the recommendation.</p> <p>4 MR MOK: Then should I ask the Marine Department to follow</p> <p>5 up this matter by a letter setting out the procedure?</p> <p>6 THE CHAIRMAN: Or a short statement from somebody.</p> <p>7 MR MOK: Or a short statement.</p> <p>8 THE CHAIRMAN: Simply so that we have the information. For</p> <p>9 example, we have no idea how many personnel are</p> <p>10 involved, what the rank structure is, how it does liaise</p> <p>11 with the rest of the Marine Department.</p> <p>12 MR MOK: All right. Maybe a short statement about the</p> <p>13 structure and the function of the marine investigation</p> <p>14 section.</p> <p>15 THE CHAIRMAN: That would help, thank you.</p> <p>16 MR SHIEH: I have no further questions for Captain Pryke.</p> <p>17 THE CHAIRMAN: Thank you. Give me a moment, please.</p> <p>18 Mr McGowan, do you have an application?</p> <p>19 MR MCGOWAN: Yes, sir, I do. The questions I'd like to ask,</p> <p>20 or the areas I'd like to cover are the actions of</p> <p>21 Coxswain Chow; the radar; the fourth crew member; and</p> <p>22 the organisation of the marine department or the marine</p> <p>23 section of Hongkong Electric and its relationship with</p> <p>24 management.</p> <p>25 THE CHAIRMAN: So Hongkong Electric's marine section and its</p>

Page 21	Page 23
<p>1 link with management? 2 MR McGOWAN: Yes. 3 THE CHAIRMAN: Having regard to what he said about the 4 position that the marine officer occupied in the 5 hierarchy? 6 MR McGOWAN: That's correct. 7 THE CHAIRMAN: Yes, please do so. 8 MR McGOWAN: Thank you. 9 Examination by MR McGOWAN 10 MR McGOWAN: Perhaps before I deal with anything else, 11 Captain Pryke, I'd like to go back to something you said 12 yesterday in the transcript, which appears on pages 53 13 and 54. There seems to have been some confusion, when 14 you were dealing with what you'd said in paragraph 27 of 15 your initial report, as to which vessel you were 16 referring to. I refer particularly to the report in the 17 South China Morning Post this morning which appeared to 18 be referring to your comment which appears on page 54 at 19 lines 6, 7 and 8. At that particular answer, you said: 20 "Well, I was tempted to say that I would change 21 paragraph 27(d) ..." 22 That's of your original report; is that correct? 23 A. Bear with me. 24 THE CHAIRMAN: Perhaps we ought to give Captain Pryke 25 a chance to look at his report.</p>	<p>1 South China Morning Post this morning -- 2 THE CHAIRMAN: I'm not in the business of correcting 3 misleading press reports, Mr McGowan, and you've been 4 long enough in this business to know that when one 5 participates either as a barrister or as a judge, one 6 often pinches oneself when one reads what the press has 7 written up as being the story. 8 MR McGOWAN: Well, I know, sir, that's correct, but I just 9 wanted to correct this. 10 THE CHAIRMAN: You better direct your attention to what we 11 form as our view. I have no doubt at all because 12 Captain Pryke referred to Sea Smooth in terms when he 13 read out paragraph 27. 14 MR McGOWAN: Right, sir. 15 You also made mention of Coxswain Chow yesterday. 16 A. Yes. 17 Q. And you referred or you were asked about his use of 18 radar which he had referred to in his evidence. 19 A. Yes, correct. 20 Q. On his evidence, as I think he originally said to the 21 police, he had his radar switched to the 1-mile range 22 scale? 23 A. Yes. 24 Q. He was doing a speed of 11 or 12 knots? 25 A. Yes.</p>
<p>Page 22</p> <p>1 MR McGOWAN: Yes, certainly. That's in the expert bundle, 2 page 11. 3 A. Right, yes. I have it. 4 Q. Paragraph 27 in your original report refers to the 5 actions or lack of actions of Sea Smooth; correct? 6 A. Correct. 7 Q. Yesterday, in the portion of the transcript that I've 8 just taken you to, again, you were referring to the 9 actions of the Sea Smooth and Coxswain Lai; is that 10 correct? 11 A. May I just read it? 12 Q. Yes, certainly. 13 A. Yes. Referring to paragraph 27(d) obviously refers to 14 Coxswain Lai on the Sea Smooth. 15 Q. Right. So the reference that appears on page 54 of the 16 transcript of yesterday, where you said, "It wasn't 17 a practical collision-avoidance option; it was just 18 a last-minute panic", was referring to what Coxswain Lai 19 did? 20 A. Correct. 21 Q. Not Coxswain Chow? 22 A. Correct. 23 THE CHAIRMAN: That's made perfectly clear from page 50, 24 where Captain Pryke read out that part of his report. 25 MR McGOWAN: Yes. I don't know whether you've seen the</p>	<p>Page 24</p> <p>1 Q. Do you think that 1-mile range scale is a good range 2 scale in Hong Kong waters for the initial detection of 3 targets or other vessels? 4 A. Yes, generally. The STCW rules would have you change up 5 a range routinely to check what was coming ahead of you, 6 and I agree with that. I think every five minutes or 7 so, you would go up to a 3-mile range to check what was 8 happening a bit further away. But generally the 1-mile 9 range for him would be correct, I would think. 10 THE CHAIRMAN: Just give me a moment, please. 11 The STCW rules you refer to, are you able to refer 12 us to them? 13 A. Yes, I am, sir. It might take a minute. 14 THE CHAIRMAN: First of all, could you help us with the 15 acronym STCW? 16 A. It's on page 1401. STCW is the standards of training, 17 certification and watchkeeping. 18 THE CHAIRMAN: Yes. Thank you. Where is the -- 19 MR SHIEH: Paragraph 14 to this Code, Mr Chairman, at 20 page 1110. There's a reference in footnote 24 to the 21 actual Convention. 22 THE CHAIRMAN: Is there anything that condescends to this 23 particularity, that every five minutes you would go up 24 to a 3 nautical mile range? 25 A. Yes, there is a reference to going up to a higher range.</p>

Page 25	Page 27
<p>1 THE CHAIRMAN: Yes. Where do we find that? Take your time. 2 A. It's on page 1407, paragraph 38: 3 "The officer in charge of the navigational watch 4 shall ensure that the range scales employed are changed 5 at sufficiently frequent intervals so that echoes are 6 detected as early as possible. It shall be borne in 7 mind that small or poor echoes may escape detection." 8 THE CHAIRMAN: And in the context of these waters, in 9 particular no doubt the waters -- rather, whilst the 10 vessels are plying between Lamma Island and Green Island 11 and Sulphur Channel, a 1 nautical mile range you would 12 accept would be described as a good range, but with 13 changes every five minutes upwards to 3 nautical miles? 14 A. I mean, I shouldn't be specific in saying "five 15 minutes", but every so often they should go up to 16 a higher range to check what else is in the area. There 17 is further reference in here on, for instance, 18 page 1404, when the general requirements for 19 a look-out -- you look at the traffic density, the 20 proximity of dangers, et cetera. And clearly, the 21 presence of high-speed craft operating in the area would 22 make you look a bit further ahead. 23 THE CHAIRMAN: And in your initial evidence, you said that 24 Coxswain Chow, whilst in the typhoon shelter, should 25 have had a look at his radar on a 3 nautical mile range,</p>	<p>1 Q. Indeed I think you very fairly changed your original 2 views with more experience of how these vessels operate 3 in Hong Kong? 4 A. Yes. 5 Q. In your note, when you came back on the second occasion? 6 A. I think sometimes the close proximity of incidents is 7 what I would consider too close, but I understand that 8 it happens a lot. But I take your point. I understand 9 what you're saying. 10 Q. Yes. And we know, of course, that Lamma IV was 11 proceeding at a speed of 11 or 12 knots? 12 A. Correct. 13 Q. Whereas Sea Smooth was operating on a 0.75 radar range 14 and travelling about twice as fast? 15 A. Yes, indeed. 16 THE CHAIRMAN: What do you say about that? The question 17 that Mr McGowan asked you was was 1 nautical mile a good 18 range for Lamma IV, travelling at her speed and where 19 she was? What about a 0.75 nautical mile range on the 20 radar for a vessel travelling at 24.5 knots? 21 A. I would say that was clearly inadequate. I would 22 think -- Coxswain Lai did in his evidence say that he 23 manoeuvred through a fleet of small fishing boats when 24 he was coming through the anchorage, and I'm assuming he 25 put it on the low range because he was doing some quite</p>
Page 26	Page 28
<p>1 and if he'd done so he would have seen Sea Smooth at 2 something like 20:16 as she was making her way south 3 from Sulphur Channel? 4 A. Yes. In my view, it would have been best practice to 5 look at the radar before he actually left the berth. 6 MR McGOWAN: Which I think he said he did, but not at 7 a 3-mile range scale. 8 A. Yes. 9 Q. But in terms of any immediate dangers to his navigation, 10 a 1-mile range scale would give him that indication. Do 11 you agree with that? 12 A. Yes. But of course you have to also bear in mind what 13 we've said on so many occasions: that 1-mile range scale 14 at the speeds that we're talking about here would only 15 cover something like a minute and a half ahead when two 16 ships are approaching at these speeds. 17 Q. Yes. I think, Captain, you're also aware of the 18 evidence from the VTC operators and indeed the port 19 control director, who you spoke to -- I think that's 20 Mr Cheung -- 21 A. Yes. 22 Q. -- about the ranges at which people operate in Hong Kong 23 and the times that they alter course with these small, 24 highly manoeuvrable vessels? 25 A. Yes, I'm aware of that.</p>	<p>1 difficult manoeuvring between small boats. In my view, 2 when he completed that, he should have gone up a range. 3 MR McGOWAN: I stand to be corrected: I don't believe he 4 changed his range scale at all when the small vessels he 5 encountered were coming through the Sulphur Channel. 6 THE CHAIRMAN: That's my understanding. 7 A. Yes, quite possibly. 8 THE CHAIRMAN: The range was set at 0.75 nautical miles. 9 MR McGOWAN: Throughout, and it stayed on that throughout. 10 THE CHAIRMAN: Yes, because visibility was good. 11 A. I think when we're talking about the ranges, it's 12 important to note -- and we discussed yesterday about 13 bridge design. If the radar screen is in front of the 14 coxswain, not obviously interfering with his visibility, 15 but so that he can glance at it frequently all the time, 16 then of course 1 mile is perfectly adequate because he 17 wouldn't miss anything. But if it's over here 18 (indicates) and you have to lean over and make a special 19 effort to look at it, then it becomes a very different 20 situation. 21 MR McGOWAN: Yes. I don't think anyone disputes that, 22 Captain. 23 Really, it would appear that Coxswain Chow's failure 24 was not to not use the radar at all, but not to maintain 25 a reasonably frequent update of the radar picture as he</p>

Page 29	Page 31
<p>1 proceeded northwards? 2 A. That would be my understanding, yes. 3 THE CHAIRMAN: That's an issue for the Commission to 4 determine, whether or not radar was used. 5 MR McGOWAN: Yes. I'm prefacing this -- that was his 6 evidence, that he used it. It's obviously a matter for 7 you to decide whether he did, and whether he did it 8 sufficiently. 9 But the radar would give you the initial sort of 10 look-out warning which you could then look for the 11 contact in the direction which you expect it to come 12 visually? 13 A. That's what I would expect to happen, yes. 14 Q. And that shorter ranges of visual look-out are, 15 I suggest, probably more accurate than a radar look-out, 16 in that you'd be aware of the changing aspects of lights 17 earlier, indicating a change or alteration of course or 18 indeed a steady bearing? 19 A. When you're navigating, particularly on a small ferry, 20 and you have a lot of echoes to deal with all at one 21 time, then the radar picture is very much easier to deal 22 with than the visual picture. 23 Q. That wasn't the situation on the night of 1 October, was 24 it? Certainly as far as Lamma IV was concerned. 25 A. Lamma IV had, as I recall, a number of echoes in the</p>	<p>1 A. Yes. I think distance is very often difficult to judge 2 at sea. 3 Q. So the estimates that you have used to describe the 4 actions and the times in this case are based on 5 estimates of distance at night made by Coxswain Chow, 6 the engineer, and indeed later on Coxswain Lai? 7 A. I'm sorry, I'm not with you. Which estimates are you 8 talking about? 9 Q. Well, for example, yesterday when you were describing 10 your view of what happened and when it happened, you 11 were using Coxswain Chow's estimate of 3 cables when he 12 first saw Sea Smooth. 13 A. If I could just absolutely clarify that. What I was 14 trying to do was to put down on a timeline what we had 15 heard in evidence. 16 Q. Yes. 17 A. I'm not saying that was my opinion of what happened. 18 I was just trying to say that if you wanted a timeline 19 based on the evidence that had been heard by the 20 Commission, based on the distance travelled between 21 various points -- that's all I was trying to do. 22 Q. Yes. I think you were matching up your plot and the 23 times that could be discerned from the VTC information 24 with various observations made by people on board the 25 vessels. Would that be a fair way of putting it?</p>
Page 30	Page 32
<p>1 anchorage, together with obviously Sea Smooth, yes. 2 Q. Yes. The echoes in the anchorage were a considerable 3 distance away, and they were obviously at anchor? 4 A. Yes. I can't remember the exact distance, but -- well, 5 not very far away. 6 Q. No, they were on his radar, but at anchor and off his 7 track. 8 A. Well, he would have had other echoes on his radar. 9 That's all I'm saying. 10 Q. Yes. Now, would you agree with me that estimating 11 distances at night at sea is difficult? 12 A. Well, again, that's where the radar comes in. It makes 13 it very easy. 14 Q. Yes. If you look away from what you've just seen and go 15 to the radar and then try and find it on the radar. 16 What I'm just saying is that an estimate of 3 cables, as 17 we've had in this particular matter -- 18 THE CHAIRMAN: So you're describing a visual estimate? 19 MR McGOWAN: A visual estimate, yes. 20 On first sight, it takes a little bit of time to 21 actually work out exactly what the lights are indicating 22 to you? 23 A. Yes, indeed. 24 Q. Particularly if you're trying to estimate distance. 25 That can be quite difficult?</p>	<p>1 A. Don't forget this was in the context of the Chairman 2 saying to me, "What do you now know that you didn't know 3 then from listening to the evidence of the two 4 coxswains?" So it's in that context. 5 Q. Yes, that's right. But their estimates are difficult 6 estimates, made at night, effectively on first sighting 7 another vessel, calculations of distance. 8 MR SHIEH: I don't mean to unnecessarily intervene, but very 9 often questions of this nature really verge on asking 10 the witness to really comment on the veracity of the 11 primary witnesses, whether they were actually giving -- 12 THE CHAIRMAN: We have your point. Thank you. We have your 13 point. 14 MR SHIEH: Not that these are submission points, but -- 15 THE CHAIRMAN: Well, it is a submission point, and the point 16 is going to be: 3 cables may not be accurate. Is that 17 what you're going to come to, really, at the end of the 18 day? 19 MR McGOWAN: Yes. 20 THE CHAIRMAN: All Captain Pryke can do is deal with the 21 evidence as it was. 22 MR McGOWAN: Yes, and I think he's very fairly conceded that 23 3 cables, 600, 700 yards, et cetera, or metres are all 24 approximately in the same area and they are based on 25 estimates of distance.</p>



Page 33	Page 35
<p>1 THE CHAIRMAN: Can I ask you, Captain -- forgive me for 2 interrupting, but whilst I remember the point. If Sea 3 Smooth had been spotted at 1 nautical mile by Coxswain 4 Chow on his radar, how long would it take him identify 5 it as a high-speed craft? 6 A. It depends on a number of things. You mean purely from 7 the radar picture? 8 THE CHAIRMAN: Yes. Given that they were going head-on to 9 one another. 10 A. It comes back to the issue of whether you're monitoring 11 the radar or whether you're just looking at it every two 12 minutes. I mean, if you just look at it and look away, 13 you won't learn anything about its speed at all. But it 14 you're truly monitoring it, you will see the echo move 15 very, very fast across the screen. Particularly if 16 you're deploying your range rings, which on a 1-mile 17 range you might have quarter-mile range rings, you would 18 see the echo cover a quarter of a mile very, very 19 quickly. 20 THE CHAIRMAN: Thank you. 21 MR McGOWAN: But it was only the alteration to port by Sea 22 Smooth that brought her heading effectively directly 23 towards Lamma IV, wasn't it? 24 A. Yes. The whole incident, the two echoes would have 25 caused a collision alert in the VTS for quite</p>	<p>1 you could just tell us what those reasons, that you 2 believe he altered before that, are. 3 A. Well, I think in the timeline I put together yesterday, 4 having looked at all the evidence, which is what I was 5 asked to do, I concluded that the Coxswain Chow 6 alteration to starboard, the sort of hard to starboard, 7 was about a quarter of a minute before the collision. 8 It would not have been -- I think one of the 9 reasons -- what you've driving at is that I have also 10 said in the past that the collision onto the port 11 quarter of Lamma IV would naturally force the bow round 12 to port. But in actual fact, according to 13 Dr Armstrong's calculations, the angle of the collision 14 was about 42 degrees. In order for that to happen, 15 Lamma IV would have had to have gone over, altered to 16 starboard by some considerable amount. I think that's 17 what I was trying to put across. 18 Q. Yes. So she came a long way round to starboard? 19 A. Yes, indeed. 20 Q. And that would take time? Although it's difficult 21 perhaps to be specific. 22 A. It's very difficult to be specific. Both of these 23 vessels I think would alter very quickly with 24 a hard-over manoeuvre. I wouldn't like to guess on how 25 many seconds that would be, but it could be quite quick,</p>
Page 34	Page 36
<p>1 a considerable time. But what had actually happened at 2 about half a mile apart, they were -- because of 3 Lamma IV's alteration to starboard, and before Sea 4 Smooth then altered to port -- in fact not on 5 a collision course for a very brief period. And the 6 alteration to port brought them back on to a collision 7 course. That was, I think, the point I was trying to 8 make. 9 Q. Yes. I think you described it as something like 10 a "fatal alteration" yesterday. 11 A. Yes. I think when you're that close and you alter in 12 towards another vessel, and particularly altering to 13 port, because it is -- in most rule-of-the-road 14 situations you do not alter to port, except at a great 15 distance. 16 Q. I think you described the alteration as "the fatal 17 manoeuvre in this whole thing" yesterday. 18 A. Yes. 19 Q. The proposition put to Coxswain Chow by Mr Sussex was 20 put to you yesterday, which is that his alteration to 21 starboard was done at the very last moment, no more than 22 10 seconds before the collision. You disagreed with 23 that and you said there were a lot of reasons why he 24 altered a lot more than 10 seconds before the collision; 25 that's Coxswain Chow altering to starboard. I wonder if</p>	<p>1 I would think. 2 Q. Were there any other reasons why you believe it was 3 considerably more than 10 seconds before the collision? 4 THE CHAIRMAN: Well, so that I can try and follow this 5 evidence, you call it "considerably more", but Captain 6 Pryke has just said he concluded Coxswain Chow altered 7 course hard to starboard one-quarter minute before the 8 collision. 9 MR SHIEH: About 15 seconds. So not a good deal more. 10 THE CHAIRMAN: Yes. That's why I'm trying to understand the 11 evidence. 12 MR McGOWAN: I think the expression he actually used -- 13 THE CHAIRMAN: Let's deal with what he said today. 14 Today you've just told us, Captain Pryke, if my note 15 is right, you concluded that Coxswain Chow had altered 16 course hard to starboard one-quarter minute before the 17 collision. Have I got your evidence correctly? 18 A. That's indeed what I said, Chairman, but I think I might 19 have made a mistake. What I had written down yesterday, 20 and I think probably what I said in evidence yesterday, 21 was that Coxswain Chow altered course to starboard on 22 his joystick at about 20:20:10. And the collision 23 was -- 24 MR SHIEH: 20:20:17. 25 A. -- 20:20:17, so that would in fact be seven seconds.</p>

Page 37	Page 39
<p>1 I mean, this is -- I have to say it's a bit arbitrary. 2 MR SHIEH: Yes, because I remember Captain Pryke saying it 3 was 20:19:50, first sighting, 3 cables; and then 4 20:20:10, altered course to starboard. That was the 5 exact note of the timeline yesterday, Mr Chairman. 6 THE CHAIRMAN: Thank you. 7 MR McGOWAN: Perhaps if we're looking at what was said 8 yesterday, could we have a look at page 57 of the 9 transcript. 10 THE CHAIRMAN: Could you read out passage you say is 11 relevant? 12 MR McGOWAN: Yes. The question was put by my learned friend 13 Mr Shieh at line 11: 14 "Therefore, if it had been 3 cables, then fine, it 15 may be slightly better. But if the finding is, no, it's 16 actually about 10 seconds prior to the collision, then 17 it perhaps casts more doubt on the adequacy of look-out. 18 Answer: Yes. I mean, I couldn't agree with that. 19 I think it's got to be a lot more than 10 seconds -- 20 Question: I know, I know. 21 Answer: -- for all sorts of reasons." 22 THE CHAIRMAN: You haven't established what he's talking 23 about so I think you better go back to the bottom of 24 page 56, please. Would you be kind enough to read that 25 out.</p>	<p>1 A. I think what I'm referring to is the efficacy of the 2 look-out. 3 THE CHAIRMAN: Yes. That's obvious. 4 That was the topic being dealt with, Mr McGowan: the 5 look-out. 6 MR McGOWAN: Yes. But he said that the sighting was a lot 7 more than 10 seconds. 8 THE CHAIRMAN: Yes. 9 MR McGOWAN: I was just asking him to give any more reasons 10 he had. 11 THE CHAIRMAN: Not the hard to starboard, but the look-out; 12 that's what the Captain was dealing with. 13 A. The closing speed, if I can just remind you, of 14 36 knots, 1 cable is covered in 10 seconds. So assuming 15 the 3 cables was correct, he would have had 30 seconds 16 in which to take avoiding action. 17 MR McGOWAN: And the appropriate avoiding action was a hard 18 alteration to starboard; correct? 19 A. Yes. 20 Q. Which he did? 21 A. Yes, but I don't think he did it at 3 cables. 22 THE CHAIRMAN: It's your evidence that you think he did it 23 at 20:10? 24 A. Indeed, sir. 25 THE CHAIRMAN: Having spent 20 seconds assessing the</p>
Page 38	Page 40
<p>1 MR McGOWAN: Yes. Line 25? 2 THE CHAIRMAN: Yes. 3 MR McGOWAN: Right. 4 I'm asked to put this in Captain Pryke. Mr Shieh's 5 question starts at the bottom of page 56, line 25: 6 "But, of course, depending on the Commission's 7 factual finding as to at which point it was that he 8 first visually sighted the Sea Smooth, questions as to 9 adequacy of look-out could well have to be modified; 10 would you agree with that? Because, I mean, from my 11 perspective it's really a commonsense question, because 12 the later you are found to have first sighted the other 13 vessel, the more problematic your look-out must have 14 been. Because otherwise you might have been able to see 15 it earlier. 16 Answer: Oh, absolutely. 17 Question: Therefore, if it had been 3 cables, then 18 fine, it may be slightly better. But if the finding is, 19 no, it's actually about 10 seconds prior to the 20 collision, then it perhaps casts more doubt on the 21 adequacy of look-out. 22 Answer: Yes. I mean, I couldn't agree with that. 23 I think it's got to be a lot more than 10 seconds -- 24 Question: I know, I know. 25 Answer: -- for all sorts of reasons."</p>	<p>1 situation. That's what you told us yesterday. 2 A. Yes. 3 MR McGOWAN: But you don't know how fast she turned? 4 A. I would imagine she turned very fast. If you -- on the 5 joystick -- the only doubt in my mind here is there was 6 some evidence of a change in speed, and I really don't 7 know at what time that happened. So if he had slowed 8 down before he put the toggle over hard to starboard, 9 then obviously it wouldn't have reacted as quickly as if 10 he was going full speed. So the answer, in all honesty, 11 is we don't know. 12 Q. If I can move on to the radar on board Lamma IV, which 13 you described yesterday as a complicated piece of kit. 14 A. Well, according to the very, very wordy manual, it 15 seemed quite complicated. 16 Q. Yes. It's got sort of bells and whistles attached to 17 it, really, hasn't it? 18 A. Yes. 19 Q. It does all sorts of things. 20 A. Yes. 21 Q. But the basic principles and basic use for collision 22 avoidance are not very complicated, are they? 23 A. On most radar sets, you can use it in a basic form, yes. 24 Q. And that's really all that was required for Coxswain 25 Chow to know?</p>

Page 41	Page 43
<p>1 A. It was required for him to know what the switches were, 2 that he could set it up to a picture that he could 3 understand and he could use. 4 Q. And he said that he was aware of how to use a radar for 5 collision avoidance? 6 A. As I understand it, yes. 7 Q. The fourth crew member, you were asked about yesterday. 8 That appears at page 95 of the transcript. 9 Are you aware, Captain Pryke, of the definition of 10 a crew member for a local vessel in Hong Kong? 11 A. I have not read a definition of such, I don't believe. 12 Q. Perhaps I could ask you to have a look, please, and 13 could we all have a look, at the Merchant Shipping 14 (Local Vessels) Ordinance Cap 548, which appears at 15 tab 13 of the legislation bundle 3. 16 A. Yes, I see that. 17 Q. On the second page, in the definitions section, the 18 definition of "crew" is give -- that's part of 19 section 2 -- as: 20 "... coxswain and any other person employed or 21 engaged in any capacity on board a local vessel on the 22 business of the vessel". 23 A. Yes, I see that. 24 Q. So that's the only definition of a crew member that we 25 can find in Hong Kong.</p>	<p>1 Q. They, I would suggest, would have been people engaged in 2 any capacity on the business of the vessel which was -- 3 THE CHAIRMAN: Well, that's a matter for the Commission, it 4 being a matter of law, not for the witness. 5 MR McGOWAN: Right. Well, again, no doubt that will form 6 part of our submissions in due course. 7 THE CHAIRMAN: Yes. 8 Have you ever encountered a definition in these 9 terms of crew on a vessel before? 10 A. No, sir. 11 THE CHAIRMAN: Mr Shieh, are you able to throw any light as 12 to the provenance of this provision in Hong Kong's 13 legislation? 14 MR SHIEH: Mr Beresford has literally just been showing me 15 some case law on the issue of the meaning of the old 16 Merchant Shipping Ordinance and what -- 17 THE CHAIRMAN: Hong Kong case law? 18 MR SHIEH: English case law. But obviously these will form 19 part of the submissions because these are research notes 20 done over time. It's not intended that these matters be 21 debated with the maritime expert. These matters are -- 22 THE CHAIRMAN: No. I've indicated the Commission's position 23 on that. 24 MR SHIEH: But there is actually some degree of learning as 25 to the ambit of the --</p>
Page 42	Page 44
<p>1 A. Right. 2 Q. So that could be anybody from the ship's cook right up 3 to anyone who isn't the coxswain? 4 A. I understand. 5 Q. I believe you've discussed, during your visits here, the 6 question of training and certification of crew members. 7 A. Yes. 8 Q. And there's no certificate required to be, if I can use 9 the word generally, a sailor or a deckhand on board 10 a local vessel in Hong Kong? 11 A. That's apparently true, yes. 12 Q. And no certification required? 13 A. That's right. 14 Q. As I think from the legislation you provided, it's very 15 different in the UK where you have the concept of -- not 16 able seamen any more, but able crew members, whether 17 they're engineers or deck personnel? 18 A. Yes, that's right. 19 Q. And they are certified and they do have to do 20 a qualifying period of training? 21 A. Yes. 22 Q. In the case of Lamma IV, our position is that on the 23 night in question, there were a number of people on 24 board who were acting as guides for the visitors. 25 A. I understand.</p>	<p>1 THE CHAIRMAN: We look forward to hearing what it is. 2 Mr McGowan? 3 MR McGOWAN: Of course, one of the matters you mentioned was 4 discipline amongst the passengers. 5 A. Yes. 6 Q. Unless I'm stopped asking the question -- 7 A. Sorry, I don't think I used the word "discipline". 8 I think I used the words "crowd control". 9 Q. Well, yes, okay. The expression that's been used by 10 people from Hongkong Electric who have given evidence is 11 talking about discipline of passengers, which is 12 essentially the same thing. 13 THE CHAIRMAN: Well, let's deal with crowd control, since 14 that's a more readily understandable term. 15 MR McGOWAN: Very well. 16 Having extra people on board, given the number of 17 passengers on board, assisting crew -- extra people 18 there as part of the organisation of the event, would 19 assist with crowd control. Do you agree with that? 20 A. Well, yes. I think that the whole point about the crew 21 exercising crowd control is that they are recognisable 22 as part of the crew and under the orders of the captain. 23 Now, I would expect in such circumstances the crew to be 24 wearing something that was recognisable so they were 25 recognisable as a crew member. Otherwise their, let's</p>

Page 45	Page 47
<p>1 say, ability to exercise crowd control is much more 2 difficult. 3 Q. Yes. It would help in the exercise of crowd control? 4 A. Yes, indeed. 5 Q. Do you have any suggestions as to how frequently crew 6 should be exercised in fires, emergency evacuations and 7 so on? 8 A. I think you have to say that depends on the vessel. 9 I would expect that the crew on a vessel like Lamma IV, 10 they would at least discuss it at least once a week. 11 And whenever there's a crew change -- that's why we've 12 had I think a lot of talk about muster lists. Whenever 13 there's a crew change, it's very important for the new 14 person to know where he fits in as far as all these 15 emergency duties are concerned. 16 Q. Yes. I think the evidence has been that the crews 17 employed by Hongkong Electric have been employed for 18 many years. They're not a new bunch of people joining 19 an organisation, or a new individual joining 20 an organisation; they're an organisation which has 21 operated together on the same vessels for a very long 22 period of time. 23 A. Yes, I understand that. But, I mean, it's still 24 important to know which particular function you're 25 expected to do in an emergency.</p>	<p>1 matters there, Captain Pryke. We have a situation where 2 the marine section, which has the marine officer, and, 3 you've looked at, is based at Lamma Island, at the power 4 station there. And there is a man, Mr Cheng, who gave 5 evidence, Francis Cheng, who is the general manager of 6 that power station. 7 Now, he's not on the board of directors but he is in 8 charge of the power station. Do you believe a direct 9 line to him would meet your views on the position of 10 safety, particularly marine safety, within that 11 organisation? 12 A. Yes. I mean, obviously the Hongkong Electric Company is 13 not a traditional shipowner in terms of its operations, 14 so it doesn't fit in perfectly with what you would 15 normally expect. If I could just read what it is the 16 designated person is supposed to do: 17 "A company shall in relation to each ship owned by 18 it or for which it has operational responsibility 19 designate a person who shall be responsible for 20 monitoring the safe operation of the ship and, so far as 21 it may affect safety, the efficient operation of the 22 ship. 23 (2) In particular, the designated person shall -- 24 (a) take such steps as are necessary to ensure 25 compliance with the safety management system on the</p>
Page 46	Page 48
<p>1 Q. Yes. But if you have a three-man crew with a coxswain, 2 an engineer and a crewman or a deckhand, one of those 3 positions, you would know what your role is. Do you 4 agree with that, Captain? 5 A. Generally, yes. 6 Q. And you wouldn't need to exercise quite as frequently as 7 you're suggesting? 8 A. Well, I would like to see exercises happening, if it was 9 my ship. I'm not quite sure what you're driving at. 10 Q. Well, these evolutions were exercised once a month on 11 board the Hongkong Electric vessels by crew experienced 12 in their roles. 13 A. Yes. I mean, if for example the same crew is operating 14 throughout that month and they exercise once a month, 15 I'm sure that's fine. But I would imagine that there 16 are different personnel joining and leaving within that 17 time. 18 Q. Sorry, I'm corrected. They're actually exercised once 19 a week. 20 THE CHAIRMAN: Then you're ad idem, are you not? 21 MR McGOWAN: Exactly. 22 THE CHAIRMAN: Can we move to something where you're not? 23 MR McGOWAN: Certainly. I think the only other topic that 24 I have to ask you about is the safety management 25 organisation. Hongkong Electric are anxious to improve</p>	<p>1 basis of which the domestic ship safety management 2 certificate was issued in relation to the ship, and 3 (b) ensure that proper provision is made for the 4 ship to be adequately manned, equipped and maintained, 5 so that it is fit to operate in accordance with that ... 6 system ... 7 (3) The company shall ensure that a designated 8 person -- 9 (a) is provided with sufficient authority and 10 resources, and 11 (b) has appropriate knowledge and sufficient 12 experience of the operation of ships, to enable him to 13 comply with his responsibilities ..." 14 I mean, I think that's the key issue, isn't it? 15 "The company shall ensure that a designated person is 16 provided with sufficient authority and resources", and 17 that he has -- in the main international ISM it says 18 that he shall have access to the highest level of 19 management. And I think the highest level of management 20 at Lamma Island is perfectly satisfactory. 21 MR McGOWAN: Thank you very much. I have no further 22 questions. 23 THE CHAIRMAN: Thank you. 24 Do you have any questions on behalf of Hong Kong 25 &amp; Kowloon Ferry?</p>

Page 49	Page 51
<p>1 MR CHAN: No, sir. Thank you. 2 THE CHAIRMAN: Mr Mok? 3 MR MOK: I have two minor matters of fact which I wish to 4 invite Captain Pryke to consider correcting for the 5 record. 6 THE CHAIRMAN: Yes. They are in which area? 7 MR MOK: They are in paragraph 1 of the expert report, and 8 also paragraph 38. 9 THE CHAIRMAN: That's the latest report? 10 MR MOK: Of the latest report. They are minor matters. 11 THE CHAIRMAN: Yes, very well. Ask those questions. 12 MR MOK: Thank you. 13 Examination by MR MOK 14 MR MOK: Captain Pryke, can I invite you to the first 15 paragraph of your second expert report. The second 16 sentence starts with: 17 "On any day there may be up to 130 ocean-going 18 vessels and 150 river-trade vessels being monitored by 19 the VTC." 20 The true situation, Captain Pryke, seems to be more 21 serious or busier than that. What I invite you to 22 consider amending is replacing the words "On any day" 23 with the words "At any moment", and for that may 24 I invite you to look at appendix V, which is what your 25 footnote refers to, page 1191.</p>	<p>1 police bundle. 2 A. Oh, right. 3 Q. So in the police radar system, there are some collision 4 alerts which may be shown, but on the VTS system, 5 maintained by Mardep, those same collision alerts may 6 not be shown. So what I invite you to look at here is 7 Mr Chung Siu-man's statement where he says that the 8 non-participating vessels and vessels less than 9 35 metres in length would be filtered out of the VTS 10 system. Could I invite you to look quickly at that. 11 This is Chung Siu-man's witness statement at marine 12 bundle 12, page 4621, please. 13 So you see in the first sentence, where he says: 14 "In order to avoid generating excessive alerts ... 15 the VTS system is set to eliminate the generation of 16 collision alerts for non-participating vessels which are 17 less than 35 metres in length ..." 18 Which would include the Sea Smooth. Do you see 19 that? 20 A. Yes, I do. 21 Q. And also in your supplemental statements, where those 22 records from the Mardep VTS are produced, you will see 23 that they are a little bit different from the ones 24 maintained by the police. 25 THE CHAIRMAN: Just dealing with this particular point, the</p>
Page 50	Page 52
<p>1 A. Yes. 2 Q. At lines 17 to 19. That's a record of your interview of 3 Mr Chung Siu-man; correct? 4 A. Yes, I'm very happy to change that. "On any day", that 5 was just a figure of speech, if you like. 6 Q. Thank you. It's just that -- 7 A. It didn't mean a 24-hour day. 8 Q. Rights. I understand. 9 THE CHAIRMAN: So "At any moment"? 10 A. "At any moment", yes. 11 MR MOK: The second matter is paragraph 38 on page 1122, 12 where you first of all refer to the control of marine 13 traffic through the VTS system, and then you raise 14 a number of points. It's the first one that I draw to 15 your attention. You say: 16 "... no warning was issued to Sea Smooth by VTS 17 control notwithstanding the collision alerts shown in 18 the VTS system." 19 What I invite you to consider is to delete the words 20 "notwithstanding the collision alerts shown in the VTS 21 system". This is because, as you know, the VTC radar 22 system is different from the one used by the police, 23 which is tuned differently. 24 A. Oh, right. Right. 25 Q. And you see your reference at footnote 106 is to the</p>	<p>1 effect of what I think Captain Pryke is agreeing with is 2 this: no warning was issued to Sea Smooth by 3 VTS control, given that the system filtered out any 4 collision alert for a vessel less than 35 metres? 5 MR MOK: Non-participating vessels, yes. 6 THE CHAIRMAN: Yes. 7 MR MOK: Yes. 8 Are you happy to accept that? 9 A. Yes, I am, indeed. 10 MR MOK: In that case, I don't need to refer to the records. 11 Those are my only questions, Mr Chairman. 12 THE CHAIRMAN: Thank you. 13 Yes, Mr Shieh? 14 MR SHIEH: Mr Chairman, just to follow up on two questions 15 about the radar. 16 Further examination by MR SHIEH 17 MR SHIEH: Captain Pryke, just now Mr Chairman asked you 18 about the swiftness with which one could see from the 19 radar if they were 1 nautical mile apart, which the 20 observer would be able to identify Sea Smooth as 21 a high-speed craft; do you remember that? 22 A. Yes. 23 Q. Mr Chairman asked you how long would it have taken for 24 Coxswain Chow to identify Sea Smooth as a high-speed 25 craft if he had actually spotted it at 1 mile apart?</p>

Page 53	Page 55
<p>1 A. Yes.</p> <p>2 Q. I think the answer you gave, again prefaced by whether</p> <p>3 or not you were monitoring the radar or whether you're</p> <p>4 just looking at it every two minutes, but you said you</p> <p>5 would see the echo cover a quarter of a mile very, very</p> <p>6 quickly?</p> <p>7 A. Yes.</p> <p>8 Q. Again, prefacing my question with the acknowledgment</p> <p>9 that it's very difficult to give estimates as to time,</p> <p>10 would it be in a matter of a few sweeps that would be</p> <p>11 able to identify Sea Smooth as a high-speed craft, at</p> <p>12 the sort of speed that she is closing in?</p> <p>13 A. Well, the closing speed, as I have mentioned before,</p> <p>14 would see 1 cable covered in 10 seconds.</p> <p>15 Q. 10 seconds, yes.</p> <p>16 A. So a quarter of a mile would be 25 seconds. So you</p> <p>17 would see it move through the quarter of a mile range</p> <p>18 ring in a matter of 25 seconds.</p> <p>19 Q. Less than half a minute?</p> <p>20 A. Less than half a minute.</p> <p>21 Q. Yes. The second question is this. Mr McGowan asked</p> <p>22 you -- this is about the effect of the turn to port on</p> <p>23 the part of Sea Smooth and the effect of earlier radar</p> <p>24 monitoring. Because after you had given the answer that</p> <p>25 you would see the echo cover a quarter of a mile very,</p>	<p>1 quarters. No collision, but unacceptable.</p> <p>2 A. Yes.</p> <p>3 Q. And turning the clock back a bit, to the point in time</p> <p>4 when they were spotted at 1 nautical mile apart, of</p> <p>5 course that was before Sea Smooth turned port; correct?</p> <p>6 A. Yes, indeed.</p> <p>7 Q. But the fact that had they remained on the same course</p> <p>8 there would not have been a collision doesn't actually</p> <p>9 turn a bad look-out into a good one; correct?</p> <p>10 A. No. No, absolutely not.</p> <p>11 Q. The point I want to get at is one has to look at the</p> <p>12 matter in perspective. The fact that had there not been</p> <p>13 a turn to port, they would have missed each other in</p> <p>14 an extremely hazardous situation doesn't actually</p> <p>15 justify a pat on Coxswain Chow's shoulder, to say, "Nice</p> <p>16 try, not looking at the radar after you have first seen</p> <p>17 Sea Smooth at 1 mile away", putting it bluntly?</p> <p>18 A. No --</p> <p>19 Q. That's very blunt.</p> <p>20 A. No, that's correct.</p> <p>21 Q. Of course, whether he had indeed seen it on radar is</p> <p>22 something else. But even assuming that he saw the radar</p> <p>23 and assuming had the vessels continued on their courses</p> <p>24 they would have missed each other doesn't turn a bad</p> <p>25 look-out into a good one; correct?</p>
Page 54	Page 56
<p>1 very quickly, Mr McGowan reminded you of your evidence</p> <p>2 that it was the alteration to port by Sea Smooth that</p> <p>3 brought the two vessels directly towards each other, and</p> <p>4 he reminded you of the evidence that you gave as to your</p> <p>5 description of a "fatal alteration" yesterday. Do you</p> <p>6 remember that?</p> <p>7 A. Yes, I do.</p> <p>8 Q. In fact, your notes you did previously at expert</p> <p>9 bundle 1, page 361-54, you actually made more or less</p> <p>10 a similar point. That is paragraph 10:</p> <p>11 "At 20:19 hours, Lamma IV alters course to starboard</p> <p>12 such that at 20:19:30 hours she is steering 000 degrees.</p> <p>13 This means that Sea Smooth is no longer on her starboard</p> <p>14 bow, but is in fact on her port bow. If both vessels</p> <p>15 remain on their current courses, there will be no</p> <p>16 collision. They will pass each other on reciprocal</p> <p>17 courses at a distance of just under 1 cable or 1/10th of</p> <p>18 a mile. This is an unacceptable close-quarters</p> <p>19 situation, but there will be no collision."</p> <p>20 Do you see that?</p> <p>21 A. Yes.</p> <p>22 Q. You lead on to the effect of the Sea Smooth's alteration</p> <p>23 to port. My question is this: obviously, looking at the</p> <p>24 matter with hindsight, you would know, ah, had there not</p> <p>25 been a turn to port, they would pass at extremely close</p>	<p>1 A. No, that's correct.</p> <p>2 MR SHIEH: Thank you.</p> <p>3 I have no further questions, Mr Chairman.</p> <p>4 Questions by THE COMMISSION</p> <p>5 THE CHAIRMAN: Given the sighting that Coxswain Chow has</p> <p>6 said that he had of Sea Smooth visually, on the basis</p> <p>7 that it was at about 3 cables, and given the change of</p> <p>8 course executed by Sea Smooth, was there any time at</p> <p>9 which, in your opinion, Coxswain Chow ought to have</p> <p>10 given the five-short-blasts sound signal indicating he</p> <p>11 was unaware of the intentions of the other vessel?</p> <p>12 A. Yes, sir. I think in an ideal world, he would have done</p> <p>13 that. I suspect he was -- we're only talking about</p> <p>14 matters of very few seconds. I suspect he had other</p> <p>15 things on his mind. But, yes, he should have done,</p> <p>16 really.</p> <p>17 THE CHAIRMAN: And at what stage, on the basis that he's</p> <p>18 observing the vessel at 3 cables apart?</p> <p>19 A. Pretty much instantly.</p> <p>20 THE CHAIRMAN: Thank you, Captain Pryke, and thank you for</p> <p>21 returning to assist us with the matters arising in all</p> <p>22 three parts of our terms of reference. You've been of</p> <p>23 great assistance to us, and we thank you. But your</p> <p>24 evidence is now complete and you're free to leave the</p> <p>25 witness box.</p>

Page 57	Page 59
1 A. Thank you, sir. 2 May I make a small correction to something I said 3 yesterday at page 127, line 24? 4 THE CHAIRMAN: Just give us a moment to turn it up. 5 Yes? 6 A. Where I said: 7 "And she's built like a high-speed craft. She's 8 a lightweight catamaran build." 9 THE CHAIRMAN: In the transcript, you were describing 10 Lamma IV? 11 A. That's correct. I should have said "a lightweight 12 aluminium construction". 13 THE CHAIRMAN: Because she's not a catamaran build? 14 A. Exactly, yes. 15 (The witness withdrew) 16 THE CHAIRMAN: Mr Shieh, we'll take our break now but where 17 do we go after our break? 18 MR SHIEH: Dr Armstrong is ready to start giving evidence, 19 and Mr Beresford will be taking Dr Armstrong's evidence. 20 THE CHAIRMAN: And we have a report from him that's been 21 filed? 22 MR SHIEH: Yes, at the end of expert bundle 3, following 23 Captain Pryke's report. It has recently been included, 24 in fact just included this morning. It can be found as 25 the third supplemental report of Dr Armstrong, page 1619	1 THE CHAIRMAN: Thank you. 2 MR SHIEH: So this is the delineation between the two 3 reports. 4 THE CHAIRMAN: We had asked for a calculation to be done to 5 show us the distance between the two vessels at 6 different points in time. Can Dr Armstrong deal with 7 that? 8 MR SHIEH: The calculations have been done, but it actually 9 hasn't been put into either one of these reports. But 10 if the Commission actually wishes to have, for example, 11 a table setting out the data as time went by, then 12 I think that could be dug up and put into a printed 13 form. 14 THE CHAIRMAN: Yes. What we would like is the distance 15 between the two vessels. 16 MR SHIEH: At various points in time? 17 THE CHAIRMAN: If possible at every position that is taken 18 on the radar, which is every three seconds. 19 MR SHIEH: I think the raw data has been done on a computer. 20 It's just a matter of printing it out and putting it 21 into the bundle. We will do that. 22 THE CHAIRMAN: Thank you very much. 23 We'll adjourn, then, for 20 minutes. 24 (11.40 am) 25 (A short break)
Page 58	Page 60
1 of expert bundle 3, and also page 1637, expert report 2 part 2. 3 May I explain the significance of these reports. 4 What's been called the third supplemental report that we 5 can find at page 1619 is a report -- I'm sorry, 6 Mr Chairman -- 7 THE CHAIRMAN: I don't have page 1619. 8 MR SHIEH: -- it may not have been inserted as yet. 9 THE CHAIRMAN: What does that report deal with? 10 MR SHIEH: Page 1619 is entitled "3rd supplemental expert 11 report". It deals with Mr Wong Wing-chuen's fourth 12 supplemental statement, where Mr Wong Wing-chuen 13 addressed various issues about watertight bulkheads. 14 Mr Chairman might recall Mr Wong Wing-chuen taking issue 15 with Dr Armstrong's view as to what might constitute 16 an aft peak bulkhead, and the examples that Mr Wong 17 Wing-chuen gave by way of numerous other vessels. 18 THE CHAIRMAN: Yes. 19 MR SHIEH: The third supplemental report at expert bundle 3, 20 page 1619, seeks to address the points made by Mr Wong 21 Wing-chuen in his fourth supplemental statement. 22 THE CHAIRMAN: Very well. 23 MR SHIEH: And the expert report part 2, at page 1637, deals 24 with what we call part 2 of the terms of reference 25 proper.	1 (12.00 pm) 2 THE CHAIRMAN: Mr Beresford? 3 MR BERESFORD: Mr Chairman, the next witness is 4 Dr Armstrong, who is being recalled. 5 THE CHAIRMAN: Yes. 6 DR NEVILLE ANTHONY ARMSTRONG (sworn) 7 Examination by MR BERESFORD 8 MR BERESFORD: Good morning, Dr Armstrong. 9 A. Good morning. 10 Q. I'm going to ask you today about two additional reports 11 that you've prepared, one called the 3rd supplemental 12 expert report, which is dated 3 March 2013 and which is 13 to be found at page 1619 of expert bundle 3, and the 14 other being expert report part 2, dated 5 March 2013, 15 which is to be found at page 1637 of expert bundle 3. 16 Turning to page 1626. Do you recognise your name 17 and signature there, Dr Armstrong? 18 A. Yes, sir, I do. 19 Q. And similarly, if we turn to page 1676, do you also 20 recognise your name and signature there? 21 A. Yes, sir, I do. 22 Q. Do you adopt these reports as your own? 23 A. I do adopt them as my own. 24 Q. Are they true, to the best of your information and 25 belief?

Page 61	Page 63
<p>1 A. They are true, to the best of my information and belief, 2 apart from one error which I noticed this morning. 3 Q. Yes, please. 4 A. It refers to page 1682; in the second report. In the 5 second line, there is a reference to a distance above 6 the deck of 0.3 metres, and then a subscript "65" which 7 refers to the code of practice. 8 Q. Yes. 9 A. Unfortunately this morning I noticed the code of 10 practice refers to 0.3 of a metre above the seat, not 11 0.3 of a metre above the deck. So the 0.3 of a metre 12 above the deck should be corrected to a distance of 13 0.9 metres, which results in the maximum moment of 14 65 newton metres being corrected to 195 newton metres. 15 Then on the fifth line, that figure of 65 newton 16 metres, also corrected to 195 newton metres. 17 Q. Thank you. 18 A. I felt the value of 65 newton metres was very small this 19 morning when I read it, and then I realised what the 20 mistake had been. My apologies. 21 THE CHAIRMAN: Thank you. 22 MR BERESFORD: Dr Armstrong, taking first your third 23 supplemental expert report at page 1620, you had stated 24 that you had made this in response to observations made 25 in a fourth supplemental witness statement of Mr Wong</p>	<p>1 Q. And the point you wish to clarify is that there is no 2 reference to 0.1L anywhere in this report, because this, 3 you say, was a straightforward calculation of flooding 4 a space which was longer than 0.1L? 5 A. Correct. With the intention of showing what the results 6 would be if that one compartment was flooded, with 7 a watertight door or without a watertight door in the 8 aft bulkhead. 9 Q. So you go on to point out it wasn't intended to 10 represent any regulatory requirement; just to illustrate 11 the practical and, as you say, vital importance of the 12 watertight door if Lamma IV had been in an accident in 13 which the tank room alone was flooded? 14 A. Correct. 15 Q. Then in paragraph 3, you say: 16 "The same calculation was repeated for both the tank 17 room and engine room flooded, with the results shown at 18 the bottom of page 7 of my 2nd supplemental report, 19 under the same conditions." 20 That should, I think, be at page 929 of expert 21 bundle 2. We can see there "Engine room and tank room 22 flooded". 23 A. Yes. 24 Q. You say, again, this was not presented in a way that 25 demonstrated anything to do with 0.1L, and nor was it</p>
Page 62	Page 64
<p>1 Wing-chuen. 2 A. Yes. 3 Q. You deal basically with two issues in this report: the 4 question of the watertight bulkhead at frame 1/2, and 5 the question of an aft peak bulkhead. 6 In relation to the first issue, in paragraph 2, you 7 observe: 8 "In paragraphs 4 and 5 of Mr WC Wong's 9 4th supplemental witness statement, I believe that he 10 has misunderstood the line of questioning when referring 11 to the transcript of Day 28, page 97." 12 A. I did, yes. 13 Q. You explain that you had been asked by Mr Mok about your 14 second supplemental report, specifically the table at 15 the lower part of page 6, which we can see in expert 16 bundle 2 at page 928. 17 If we could just have that up on the screen for 18 a moment, please. 19 You say that this was a table of results of various 20 calculations that you did to determine where the final 21 waterline would be if the tank room was flooded in 22 a hypothetical accident with the Lamma IV as it was, 23 with a lightship weight in 1996, 1998 and 2005, and also 24 if it had a watertight door or not? 25 A. Correct, yes.</p>	<p>1 intended to imply any interpretation of the regulations. 2 A. That was my intent, yes. 3 Q. You point to the final line on page 7 of your 4 supplemental report, page 929 of the bundle, which you 5 say: 6 "... reflects closely the situation in which 7 Lamma IV sank, and the previous line indicates that the 8 vessel would not have sunk immediately if a watertight 9 door had been fitted." 10 A. Correct. 11 Q. You point out these are not regulatory issues. 12 A. Yes. 13 THE CHAIRMAN: Just before you move on. 14 You've qualified this by saying "would not have sunk 15 immediately". By that do you mean it would have sunk, 16 but not as quickly as it did? 17 A. Mr Chairman, the margin line, if you recall the 18 definition of the margin line, was submerged in this 19 condition. So although the deck was not immersed, it 20 was very close. So eventually the effect of waves and 21 wash from passing vessels and similar effects, and maybe 22 even people standing on the side of the deck rather than 23 inside the cabin, would have caused the vessel to sink 24 eventually. Which is, of course, the purpose of the 25 margin line: to give you some margin of error. So that</p>



Page 65	Page 67
<p>1 is why I used the words "sunk immediately". I think it 2 would have stayed afloat for quite some time, until 3 eventually it was swamped. 4 THE CHAIRMAN: By a number of factors coming into play: 5 passengers moving around on the vessel, perhaps to avoid 6 what they thought was a danger in one place, 7 congregating in another place, or by waves? 8 A. Or by waves, or a rescue boat coming alongside and 9 bumping into it. All sorts of external factors. 10 THE CHAIRMAN: Thank you. 11 MR BERESFORD: But the important practical point is that if 12 the vessel would not have sunk immediately, there would 13 have been some more time for evacuation? 14 A. Yes, correct. 15 Q. Then you go on to say in paragraph 4: 16 "Paragraph 4 of Mr WC Wong's ... statement comments 17 'that Mardep does not agree with Dr Armstrong's 18 interpretation'. 19 You point out that you merely did an illustrative 20 calculation which involved no interpretation? 21 A. Yes. 22 Q. We then come on to the issue of the aft peak bulkhead, 23 and you note: 24 "Mr WC Wong comments, in paragraph 6 of his 4th 25 supplemental statement, on my observations that the aft</p>	<p>1 Can you please clarify that? 2 A. "Depth" is defined in SOLAS. It's something like the 3 vertical distance from the top of what is called the 4 bulkhead deck -- that is, on Lamma IV, the main deck -- 5 down to the top of what is called the rabbet, which is 6 essentially where the shell plating meets the keel. It 7 is essentially the bottom of the boat, a little bit 8 above it, in fact. 9 Q. I didn't quite catch that last term, and neither did the 10 stenographer. 11 A. "Rabbet", it is a technical naval architectural term. 12 It has its origins in wooden technology where you would 13 rebate the wood to accept the shell plating coming into 14 it. It's essentially where the hull meets the centre of 15 the ship. 16 Q. Thank you. You go on in paragraph 6. I'll just read 17 this to clarify the definition that you gave: 18 "The forward perpendicular is at the intersection of 19 this theoretical waterline and the stem of the vessel, 20 and the after perpendicular is at the centreline of the 21 rudder stock." 22 A. Yes. Perhaps "centreline" is not quite the right word. 23 I think SOLAS says "axis", and "centre" perhaps would 24 have been better. My apologies for that. 25 Q. Thank you. Then you say:</p>
<p>Page 66</p> <p>1 peak bulkhead was normally located at the after end of 2 the vessel and in my experience at about 10% or slightly 3 less from the after end. 4 You wished to make further clarifications. You say: 5 "Firstly, it should have been taken in the context 6 that we were discussing only passenger ships 7 (class I) --" 8 A. Yes. 9 Q. "-- as is implied by many if not all of the other 10 regulations and calculations involved in this case. 11 Secondly, when quoting '10% of the length', I should 12 perhaps have made it clear what the term 'length' 13 referred to." 14 A. Yes. 15 Q. You say in paragraph 6: 16 "Most persons skilled in the art of naval 17 architecture and specifically in the regulatory aspects 18 would know that length is usually the distance from the 19 forward perpendicular to the aft perpendicular on 20 a theoretical waterline representing 85% of the Depth to 21 the main deck of the vessel." 22 Dr Armstrong, I put that definition to Mr Wong and 23 he accepted that it was a conventional measure of 24 length. The Chairman had a question as to what was 25 meant by "Depth", which you've capitalised there.</p>	<p>Page 68</p> <p>1 "Alternatively, if 96% of the distance between the 2 forward perpendicular and the extreme after end of the 3 vessel on the same theoretical waterline is greater than 4 the distance to the rudder stock, then this alternate 5 distance." 6 A. Yes. 7 Q. You then give chapter and verse. You say: 8 "This is the definition used in SOLAS ..." 9 You have attached at appendix IV to your report, 10 which is at page 1628 of the bundle, a copy of the 11 relevant amendment to the Convention. 12 A. Correct. Definition of length is on page 1631. 13 Q. Page 1631, item 5 at the top of the page? 14 A. Correct. 15 Q. That refers to the International Convention on Load 16 Lines? 17 A. Yes. 18 Q. I think we have that at page 1635, do we not? 19 A. Correct. 20 Q. So when my learned friend Mr Mok says there is no 21 definition of length in SOLAS, you would respectfully 22 disagree; is that right? 23 A. With great respect, yes. There are of course many 24 different lengths and different interpretations of them, 25 but for the purposes of subdivision and watertightness,</p>

Page 69	Page 71
<p>1 that is the correct definition, I believe.</p> <p>2 Q. Thank you. Then you also refer to the definition of</p> <p>3 length in part 1, section 2 of Cap 548G. That's in our</p> <p>4 legislation bundle at tab 15.</p> <p>5 A. Yes.</p> <p>6 Q. Unless anybody wants me to, I won't read it out, but you</p> <p>7 point out that it is essentially the same.</p> <p>8 So you say:</p> <p>9 "Therefore my distance of 10%L for the aft peak</p> <p>10 bulkhead was not intended to represent 10% of the</p> <p>11 overall length of the vessel or some other length. With</p> <p>12 reference to the approximate location of the aft peak</p> <p>13 bulkhead in my experience, it was a distance intended to</p> <p>14 be measured forward of the centre of the rudder stock."</p> <p>15 A. That is was I was intending to refer to in my mind, but</p> <p>16 of course this is not a regulatory requirement; it is</p> <p>17 just an observation.</p> <p>18 Q. Then you also wished to clarify your observations in</p> <p>19 relation to multihull crafts and particularly</p> <p>20 catamarans, which you have set out in paragraph 7. You</p> <p>21 point to a number of distinguishing factors in relation</p> <p>22 to catamarans that mean that they are not truly</p> <p>23 comparable to a monohull such as Lamma IV?</p> <p>24 A. Correct, yes.</p> <p>25 Q. You say:</p>	<p>1 A. Correct.</p> <p>2 THE CHAIRMAN: You can see the open sea?</p> <p>3 A. Correct.</p> <p>4 THE CHAIRMAN: There was water ingress into the second</p> <p>5 compartment?</p> <p>6 A. The hull was opened, yes.</p> <p>7 THE CHAIRMAN: And perhaps a little bit of water in the</p> <p>8 third compartment, as I recall the evidence?</p> <p>9 A. That is, I believe, the case.</p> <p>10 THE CHAIRMAN: But we're describing a vessel that has six</p> <p>11 watertight compartments in the port hull?</p> <p>12 A. Correct. I think the angle of heel on Sea Smooth was</p> <p>13 reported as something like 2 degrees after the</p> <p>14 experiment, which is quite small.</p> <p>15 MR BERESFORD: You then point out in addition:</p> <p>16 "On catamarans, there are two aft peak spaces, each</p> <p>17 one being of considerably smaller size than the</p> <p>18 equivalent monohull craft."</p> <p>19 A. Yes.</p> <p>20 Q. You say:</p> <p>21 "Because of [this], I have observed that the aft</p> <p>22 peak bulkhead is often considerably further forward than</p> <p>23 on the equivalent monohull."</p> <p>24 A. Yes.</p> <p>25 Q. "In an accident, for example when the rudders go</p>
Page 70	Page 72
<p>1 "[They] have excellent stability characteristics and</p> <p>2 have demonstrated an ability to survive severe damage</p> <p>3 from collisions and grounding."</p> <p>4 A. Yes.</p> <p>5 Q. You give the example of the catamaran St Malo in 1997 in</p> <p>6 which the entire length of one hull was opened up after</p> <p>7 striking rocks at 35 knots off the Channel Islands?</p> <p>8 A. Yes.</p> <p>9 Q. And apparently it remained afloat on the remaining</p> <p>10 undamaged hull and was eventually towed to harbour and</p> <p>11 repaired?</p> <p>12 A. It was.</p> <p>13 Q. You point out that the survivability of catamarans when</p> <p>14 open to the sea was also demonstrated in the present</p> <p>15 case by Sea Smooth.</p> <p>16 A. I believe it was.</p> <p>17 THE CHAIRMAN: Just give me a moment, please.</p> <p>18 As far as Sea Smooth was concerned, am I right in</p> <p>19 recalling that it was two of her six watertight</p> <p>20 compartments on the port hull that were damaged, took in</p> <p>21 water?</p> <p>22 A. There were certainly two, Mr Chairman. I'm not too sure</p> <p>23 about the third compartment.</p> <p>24 THE CHAIRMAN: Yes. As I understood the evidence, the first</p> <p>25 compartment is destroyed, in effect.</p>	<p>1 aground, it is most unlikely that both aft peak spaces</p> <p>2 will be flooded."</p> <p>3 Then you point out:</p> <p>4 "Lamma IV ... was not a catamaran, and my</p> <p>5 observations about 10%L were not meant to include</p> <p>6 catamarans, just as they did not include sailing craft</p> <p>7 or other non-standard vessels that are fundamentally</p> <p>8 different to Lamma IV."</p> <p>9 A. Yes, sir.</p> <p>10 Q. You then comment on the examples of the location of the</p> <p>11 aft peak bulkhead that Mr Wong produced in WWC-25, where</p> <p>12 he provided "15 examples of designs which purport to</p> <p>13 show the location of the aft peak bulkhead at distances</p> <p>14 in excess of 10%L".</p> <p>15 You refer first of all to the code of practice, the</p> <p>16 2006 code of practice which can be found in marine</p> <p>17 bundle 11. The relevant page is 3461. This is in</p> <p>18 chapter IIIA, entitled "Hull construction, machinery,</p> <p>19 electrical installations and fittings -- category A</p> <p>20 vessel".</p> <p>21 In part 2, "Hull construction", paragraph 2,</p> <p>22 "Bulkheads", paragraph 2.1 says:</p> <p>23 "Every launch or ferry vessel should be fitting with</p> <p>24 the following watertight bulkheads:</p> <p>25 (a) collision bulkhead;</p>

Page 73	Page 75
<p>1 (b) fore and after bulkhead of main engine space; 2 (c) when any compartment exceeds 2/5ths of the 3 length, an additional bulkhead at any intermediate 4 position unless it meets the relevant ... requirements; 5 (d) if the vessel exceeds 24 metres in length, 6 an aft peak bulkhead unless the engine room is situated 7 at aft end of the vessel. 8 2.2. In double-ended vessels, collision bulkheads 9 should be fitted at both ends." 10 A. Correct, yes. 11 Q. In paragraph 10, you set out in a table the examples 12 given by Mr Wong, explaining why these, with the 13 exception of the Sakorn Wisai, are not comparable. 14 A. I did, yes. 15 Q. In fact I've been through all of these with Mr Wong, and 16 he agreed when it was put to him that these were not 17 comparable, for the reasons you've stated. So I'm not 18 proposing to go through it again. The one exception is 19 the Sakorn Wisai, which has a distance, you say, from 20 the centre of the rudder stock to the aft peak bulkhead 21 of about 7.8 metres on a stated length between 22 perpendiculars of 82 metres, which gives a distance of 23 9.5 per cent length, which, as you point out, is within 24 your arbitrary 10%L figure. 25 Mr Wong wouldn't agree to your measurements, but we</p>	<p>1 process of understanding the causes of Lamma IV incident 2 are raised in part A of this report, together with 3 comment on the current (2013) maritime safety 4 requirements, and suggestions are made to ensure ongoing 5 safety. These comments only apply to class I ferries 6 and launches. 7 Part B of this report includes comment on issues not 8 directly related to the Lamma IV incident but on other 9 current (2013) requirements that have come to light 10 during the reading of the regulations and which are 11 offered as suggestions to clarify the understanding of 12 maritime safety issues and to prevent similar incidents 13 in the future." 14 A. Yes. 15 Q. So part B is not entirely irrelevant; it is directed to 16 similar incidents. 17 A. Yes. It was aimed more at the third part of the 18 Commission's terms of reference. 19 Q. Yes. Then part C is at page 1667, which is headed 20 "Potential Safety Issues for Vessels certified before 21 1 January 2007". And part D is headed "Future Safety 22 Issues", commencing -- 23 THE CHAIRMAN: What page is part C? 24 MR BERESFORD: Page 1667, Mr Chairman. And part D is 25 page 1672.</p>
Page 74	Page 76
<p>1 didn't get any explanation of why. 2 Do you stand by your evidence on that, Dr Armstrong? 3 A. It is quite difficult to be sure of measurements, 4 because we're talking about a plan at very small scale 5 reproduced in a magazine and then photocopied. So it's 6 not easy to measure particular distances. But I would 7 be quite close, I believe. 8 Q. Then you simply say in addition that you've noted 9 Mr Wong's comments on which set of instructions were 10 being applied at the relevant time. 11 A. Yes. 12 Q. That's obviously a matter of fact to be dealt with 13 elsewhere. 14 Turning then to the document that you've headed 15 "Expert report part 2", in which you have addressed the 16 issue of "Maritime safety and the present system of 17 Control, together with items for consideration". 18 In this report, you have it structured in four large 19 sections. Part A, beginning on page 1642, is headed 20 "Current Safety Issues with reference to the loss of 21 Lamma IV"; part B, commencing on page 1656, deals with 22 "Current Safety Issues not related to the loss of 23 Lamma IV". You've explained these two sections in 24 paragraphs 11 and 12 of the report. You say: 25 "Some of the issues that were discussed during the</p>	<p>1 THE CHAIRMAN: Thank you. 2 MR BERESFORD: Then we have a number of appendixes, 3 commencing with your expert declaration at page 1674, 4 and which I'll refer to as we go through the report. 5 In total you have formulated 59 matters for 6 consideration as recommendations -- 7 A. Yes. 8 Q. -- by the Commission, should the Commission think fit. 9 Your report commences, then, with an introduction in 10 which you introduce yourself and the incident in 11 paragraphs 1 and 2. 12 From paragraph 3, you discuss the system of control 13 of maritime safety for local vessels in Hong Kong. You 14 say that the system in 1995 -- which was, of course, the 15 time of construction and original certification of 16 Lamma IV -- could best be described as informal. 17 A. I do, yes. 18 Q. You refer to the two sets of instructions that we have 19 seen: the Instructions for the Survey of Launches and 20 Ferry Vessels (1983), otherwise known as the Blue Book, 21 which is at marine bundle 8, page 1761; and the 22 Instructions for Survey of Class I and Class II Vessels 23 (1995), which is in the same bundle at page 1810. 24 You point out: 25 "... [these] were not supported by legislation, and</p>

Page 77	Page 79
<p>1 consequently there were few mandatory requirements. The 2 surveyors and inspectors, and those carrying out the 3 plan approval on local craft, in many cases learned the 4 requirements on the job from more senior people, and 5 knowledge on maritime safety issues appears to have been 6 mainly passed on verbally." 7 A. Yes. 8 Q. Then at paragraph 4, you say: 9 "Different persons appear to have been carrying out 10 the plan approval to those carrying out the survey, and 11 there was a general 'disconnect' between these two 12 phases of the safety checks, which led to errors in the 13 case of Lamma IV." 14 THE CHAIRMAN: Could I ask you to amplify what you mean by 15 that observation? 16 A. Yes, Mr Chairman. I was trying to cover the situation 17 demonstrated by the fact the drawings showed watertight 18 doors required at frame 1/2 -- watertight bulkheads, 19 sorry, to be fitted at frame 1/2, and the survey of the 20 vessel, probably checking the integrity of the 21 watertight bulkheads, but not noting that there was no 22 watertight integrity because the door was not fitted. 23 THE CHAIRMAN: Because that is something that could be dealt 24 with later in the fitting-out of the vessel, that 25 approach?</p>	<p>1 Q. So we heard evidence from Mr Wong Chi-kin as to the plan 2 approval, but completely different surveyors, a chain of 3 surveyors, in fact, who went and surveyed the vessel at 4 various stages of its construction. 5 A. Right. 6 Q. Then, of course, those surveyors were all different as 7 well. So are you making the same point in relation to 8 the surveyors that actually surveyed the vessel? 9 A. I am, yes. 10 Q. We heard from one surveyor at the beginning who said 11 that he thought the watertight door could be fitted 12 later, and another surveyor at the end who said that he 13 didn't realise it was an outstanding issue. 14 A. I recall those witness statements, yes. 15 Q. Yes. Then in paragraph 5, you say: 16 "Ownership of fundamental safety issues such as ship 17 stability was not taken by anyone, with documentation 18 being noted as 'seen' by the Marine Department, rather 19 than being carefully assessed and approved." 20 A. Yes. 21 Q. In paragraph 6, you say: 22 "The requirements of the Instructions in use ..." 23 THE CHAIRMAN: When you say "ownership of fundamental safety 24 issues", another way of describing that would be 25 "responsibility", would it not? No responsibility was</p>
Page 78	Page 80
<p>1 A. Potentially, yes, sir. That could have been the case. 2 But made even worse by the fact that it was still not 3 picked up by the people doing the design and the plan 4 approval and reflected in the Stability Book, the Damage 5 Stability Book -- 6 THE CHAIRMAN: Yes. 7 A. -- which occurs right at the end of the process. So 8 right through that process, there were many occasions in 9 which this issue could have been addressed, but it was 10 not. 11 THE CHAIRMAN: The starting point of addressing it would 12 have been when Cheoy Lee consulted Naval-Consult to 13 establish that the door was not needed. But nothing was 14 done about the drawings. 15 A. Yes, yes. 16 THE CHAIRMAN: So that the "watertight bulkhead" legend is 17 left unchanged on the drawings? 18 A. Yes. And with having more than one person involved, the 19 subsequent people would not have been aware of that 20 discussion. 21 THE CHAIRMAN: Yes. Thank you. 22 MR BERESFORD: I think the point you are making here is also 23 addressed to the distinction between plan approval and 24 those carrying out the actual survey? 25 A. That was the intention, yes.</p>	<p>1 being taken, if you stamp a document "seen" and nothing 2 else? 3 A. Very much the case, yes, sir. 4 MR BERESFORD: So when you use the term "ownership", does 5 that imply that if somebody were to stamp a document, 6 a drawing "approved", they would then have some sense of 7 ownership of what they had approved and would have more 8 incentive to follow it up and make sure that the drawing 9 was complied with? 10 A. Stamping a drawing or other document with "approved" or 11 "not approved" clearly demonstrates your authority and 12 your responsibility or acceptance of your responsibility 13 to approve or not approve the safety demonstrated by 14 that plan or document. You're illustrating that you own 15 the safety embedded in that vessel, that you are 16 acknowledging your responsibility for all the persons on 17 board that vessel. I think it's a really fundamental 18 requirement that was not demonstrated by putting "seen" 19 on a drawing. 20 Q. Well, we've heard from Mardep that they are abandoning 21 the "seen" stamp. 22 A. I read that, yes. 23 Q. But introducing a stamp saying "for record purposes 24 [only]"? 25 A. I don't personally have an issue with that,</p>

Page 81	Page 83
<p>1 Mr Beresford. If you were going to ask me that 2 question. I'm sorry, I jumped in a little early. 3 Q. Please do. 4 A. Because there are some drawings -- for example, what is 5 called a lines plan. The lines plan is a drawing which 6 gives you the shape of the vessel. And the shape of the 7 vessel is not really about the safety issues. But they 8 are drawings which are of value to have looked at and to 9 have formed an impression as to what the vessel actually 10 looks like. The General Arrangement drawing and other 11 drawings give you some idea of the shape, but they don't 12 give you, sometimes, adequate information. So something 13 like a lines plan can be useful for information and 14 would not be approved, because it is a commercial choice 15 to make something the shape it is. So personally, 16 I don't have a difficulty with a stamp as you suggest, 17 as long as it's not on a plan that is addressing 18 a safety issue. 19 As to the value of whether it's worthwhile putting 20 anything on it or not, my own personal opinion is it 21 probably is worthwhile stamping it because it shows that 22 you are being responsible and looking at all the 23 information available to you. 24 Q. So the issue really is not in relation to the use of the 25 stamp or the word on the stamp, but what stamps were</p>	<p>1 Q. These instructions were originally based on 2 UK instructions to surveyors, weren't they? 3 A. I don't have certain knowledge on that, I'm sorry. 4 I believe so. 5 Q. But it's more a historical point at any rate now. 6 You go on to observe in paragraph 7: 7 "This situation changed in 2006 with the gazetting 8 of the Merchant Shipping (Local Vessels) Ordinance 9 Cap 548." 10 That, for the Commission's note, is in our 11 legislation bundle at tab 13. 12 You say: 13 "This provided the necessary legislative backing for 14 maritime safety to be properly addressed for local 15 craft. [It] was also supported by subsidiary 16 legislation of the same year, specifically the Merchant 17 Shipping (Local Vessels)(Safety and Survey) Regulation 18 Cap 548G." 19 Which is at tab 15 of our legislation bundle. 20 You observe that the Ordinance, Cap 548, authorises 21 the issue of a code of practice, and that a code of 22 practice was issued in 2006 under the authority of 23 section 9. The code of practice is at marine bundle 11, 24 page 3416, and a copy of it, with the same marine 25 bundle 11 pagination, is in our legislation bundle at</p>
Page 82	Page 84
<p>1 applied to what documents. And to be fair to the Marine 2 Department, they have also said that they would not be 3 using the stamp "for record purposes [only]" on such 4 a wide variety of documents as they had previously used 5 it. 6 A. Right. 7 Q. The important thing is that they should take ownership 8 or responsibility in relation to safety documents? 9 A. Yes. I see that as a prime function. 10 Q. In the Local Vessels Safety Section? 11 A. In the Local Vessels -- yes. 12 Q. In paragraph 6, you say: 13 "The requirements of the Instructions in use in 1995 14 were basic, sometimes detailing quite trivial matters, 15 and at other times missing some fundamental issues. The 16 Instructions themselves were brief (the Blue Book 17 contained only 48 pages, the 1995 Instructions only 18 62 pages)." 19 A. I'm not trying to imply that safety could be measured by 20 the number of pages, Mr Beresford, but I thought that 21 was an indication that it was quite brief. Just as 22 an example, the instructions in Australia for damage 23 stability alone run to 121 pages. And that is the other 24 extreme, of course. Somewhere in the middle there's 25 a good compromise.</p>	<p>1 tab 4. 2 THE CHAIRMAN: Thank you. 3 MR BERESFORD: You then say: 4 "The comments that follow in this document [that is 5 to say, your report] are based upon my interpretation of 6 Cap 548, Cap 548G and the code of practice (2006). 7 I have no knowledge of alternative procedures that may 8 have been developed within the Marine Department as 9 acceptable equivalents (as defined in code of practice 10 (2006))[in chapter I, section 8], or acceptable 11 exemptions (as defined in ...)[chapter I, section 7]." 12 In paragraph 10, you make the following comment: 13 "At present I do not understand how the current 14 system of plan approval and ship survey and inspection 15 operates at a practical level. The code of practice 16 suggests that plan approval may be done by four 17 different bodies, namely the Marine Department, 18 an authorised surveyor, an authorised organisation or 19 a recognised authority. Surveys may also be carried out 20 by these four bodies, subject to Mardep's agreement. 21 How this works in practices would require more detailed 22 investigation within Mardep and observation of the 23 process, but there remains the potential problem of 24 different persons doing the plan approval to those 25 carrying out the survey."</p>

Page 85	Page 87
<p>1 This is what you address in the following paragraphs 2 of your report. 3 A. Yes. 4 Q. Paragraphs 11 and 12 we've already read. So then we 5 come to -- 6 THE CHAIRMAN: Just pausing there, Mr Beresford. We have no 7 material, do we, that deals with plan approval and ship 8 survey, other than by the Marine Department? 9 MR BERESFORD: That's correct, Mr Chairman. I venture to 10 suggest that that's because this system originated in 11 2007 or 2006. It did not arise out of the Lamma 12 collision. 13 THE CHAIRMAN: Yes. 14 MR BERESFORD: So what Dr Armstrong is focusing on is the 15 problem of different persons doing different aspects of 16 the job, but not really getting into this aspect of the 17 current system, which only came into place in 2007. 18 THE CHAIRMAN: Thank you. 19 MR BERESFORD: We then come to part A of your report, and 20 under the heading, you set out a list of contents, of 21 the 13 issues that you address. In each one you 22 describe the issue and where appropriate, you say what 23 the current requirement is and then under bold type "For 24 consideration" and a number, you set out a possible 25 recommendation that the Commission may wish to consider</p>	<p>1 the drawings and carrying out the surveys, then there 2 couldn't have been any disconnect, as you call it, in 3 those processes, in that process? 4 A. Yes, I agree. 5 THE CHAIRMAN: And the technical skills required to do the 6 one enable one to do the other? So you can do plan 7 approval and survey? 8 A. I believe so, yes, sir. 9 THE CHAIRMAN: Yes. I'm stating the obvious, but I want 10 that on the record. 11 A. Yes. It suddenly dawned on me it may not be obvious. 12 But I've had the pleasure of being a surveyor and 13 certainly understanding plans is an essential part 14 of it. 15 MR BERESFORD: Would the two processes not feed off one 16 another? 17 A. Yes. 18 Q. So that your ability to approve plans would be enhanced 19 by your experience of actual surveys? 20 A. Indeed. 21 Q. And your ability to survey a vessel would be enhanced by 22 your ability to understand plans? 23 A. And both of them require an understanding of the 24 regulations as well. 25 THE CHAIRMAN: Would it not assist someone doing the survey</p>
Page 86	Page 88
<p>1 making. 2 A. Yes, sir. 3 Q. Issue (i) is headed "Potential for disconnect of design 4 intent and actual construction": 5 "The code of practice outlines a procedure for 6 survey and plan approval. There appears to be the 7 potential for drawings to be approved by one authority 8 (such as the classification society) and for the survey 9 to be done by another (such as an authorised surveyor). 10 This is likely to lead to errors, such as the surveyor 11 not understanding the reason behind certain design 12 features and requiring detrimental changes. The drawing 13 approval and survey should ideally be done by the same 14 persons to avoid situations such as happened with 15 Lamma IV where the drawings showed a watertight bulkhead 16 but the surveyor on site accepted it as non-watertight, 17 and thereafter the as-built documentation (such as the 18 damage stability book) continued to incorrectly show the 19 bulkhead as watertight." 20 I'm not sure, Dr Armstrong, that the evidence is 21 really that clear, is it, that the surveyor on site 22 accepted it as non-watertight? When the drawings were 23 put to the surveyors, they seemed to accept that it was 24 a watertight bulkhead. 25 But nevertheless, had it been one person approving</p>	<p>1 to have been involved in the process of approving the 2 plans from the outset, so that he'd become familiar with 3 this vessel? 4 A. It's very beneficial, I believe, yes. 5 THE CHAIRMAN: We've heard some evidence that in the period 6 1994 to 1996, there was a shipbuilding boom in Hong Kong 7 which may have put some pressure on the Marine 8 Department dealing with the approval of plans and survey 9 of vessels. Have you come across any information to 10 that effect? 11 A. Indeed, sir. In reading the documents that were made 12 available to me of correspondence between the builder 13 and Marine Department, it was very evident in what 14 I read that there were sometimes long delays, there were 15 letters following up, saying, "Can you please advise me 16 when?" It was fairly apparent from reading that that 17 the Marine Department was under a lot of pressure. 18 THE CHAIRMAN: A shipbuilder saying, "Please get on it, 19 we've got a vessel to build", in effect. 20 A. In some stronger language than that, in fact, 21 Mr Chairman. 22 THE CHAIRMAN: Yes. 23 That's evidenced in the correspondence between Cheoy 24 Lee and -- 25 A. And the Marine Department.</p>

Page 89	Page 91
<p>1 THE CHAIRMAN: -- Marine Department. 2 A. In one case, I can remember they're talking about "Under 3 the terms of the contract, we are obliged to deliver the 4 ship on date X but we have not yet got approval from you 5 for drawings", and then a list of drawings. 6 THE CHAIRMAN: That had been submitted much earlier? 7 A. That had been submitted at a given date. I formed the 8 firm impression, as I said, that Marine Department were 9 under a lot of stress. 10 MR BERESFORD: But even if it be granted that the Marine 11 Department were under a lot of stress, is it an answer 12 to say, "Oh, well, surveyor 1 is busy so we'll send 13 surveyor 2 to tick the boxes, if they can be ticked"? 14 A. I can't really answer that, Mr Beresford, because 15 I don't know the circumstances at the time. Was 16 consideration given to the fact that we would send our 17 most experienced person to tick the boxes, as you say? 18 I just don't know the circumstances. Ticking the boxes 19 is not a very satisfactory answer, of course. Surveying 20 is not as simple as that. 21 THE CHAIRMAN: At all events, as I understand your opinion, 22 it would make more efficient use of manpower if it was 23 possible within the system to have the persons involved 24 in the plan approval being the ones that followed it 25 through to the final surveys of the vessel?</p>	<p>1 When you say "such a system can be made to work", 2 "such a system" being a system of separate surveyors 3 approving and surveying; is that right? 4 A. Yes, Mr Beresford. Would you like me to explain 5 a little further? 6 Q. Yes, please. 7 A. The State of Queensland decided to privatise plan 8 approval and safety inspections and the whole regime, to 9 not be done by the government anymore and for the 10 authority to be done privately, which is rather 11 an adventurous approach, I felt. However, that was 12 brought into operation some years ago, perhaps 13 15-17 years ago. The way it works is that a designer 14 will take responsibility for safety in putting the 15 design together, and he's then required to have it 16 checked through by a second designer, and also to have 17 it surveyed by another party, which could be the same 18 person or the same organisation as the people doing the 19 plan approval, the second designer. 20 It seems to work. However, there is one known 21 problem with the Queensland model, and that is that the 22 first designer, for commercial reasons, is usually not 23 very keen to provide too much information to the 24 approval authority, because he knows the second designer 25 is going to go away and use his information. So there</p>
<p>Page 90</p> <p>1 A. Definitely beneficial, Mr Chairman. As an example, many 2 contracts with shipyards have an owner's representative 3 standing by. The owner's representative is a person who 4 is telling the shipyard what he will and will not 5 accept, in line with the contract. And that person is 6 usually involved in also the plan approval. So he's 7 involved, like the surveyor, in the design, through the 8 plan approval process, putting together the design, and 9 then also in making sure that it shows up on the vessel 10 that is being built. And he understands how it all 11 works as the vessel is being built, and why it's being 12 done the way it is. In an ideal world, I think the 13 survey authority should also share the same authority, 14 the same involvement in the whole process of building 15 the ship. 16 THE CHAIRMAN: Thank you. 17 MR BERESFORD: You go on to say: 18 "There needs to be some continuity of knowledge 19 between plan approval and survey and certification." 20 But then you say: 21 "Having stated this concern, such a system can be 22 made to work, and a similar arrangement is in operation 23 in the State of Queensland in Australia, although the 24 certification process is not recognised by other 25 Australian states."</p>	<p>Page 92</p> <p>1 becomes an unfortunate situation where the designer is 2 trying to hide information, which of course is not 3 a very good idea. But I mentioned it here because 4 people may be aware that there is such a system in 5 operation in Australia. 6 It is seen as problematical by the other Australian 7 states. In Australia at the moment, or in the past it 8 has been that each state has its own marine legislation; 9 it's not a federal issue. That has caused all sorts of 10 problems. So in the last few months, Australia has 11 moved to a single national jurisdiction; in other words, 12 federal law covering maritime safety. And that is 13 currently being changed over. What will happen to the 14 Queensland model, I'm not privy to that information at 15 the moment. 16 They say it works in Queensland. I have my personal 17 doubts. 18 Q. Thank you. You give the case of changes to the plating 19 thickness on Lamma IV as an example. Because in that 20 case, as we know, the approved drawing shows 21 a 5 mm plating, and if the surveyor accepts an overall 22 plate of 4.83 mm, then: 23 "... it is unclear as to how this should be recorded 24 in the as-built plans, and whether the classification 25 society responsible for the design approval would accept</p>

Page 93	Page 95
<p>1 the change authorised by the surveyor on site." 2 THE CHAIRMAN: Just dealing with that issue, that was the 3 subject of a letter from Cheoy Lee to the Marine 4 Department, was it not, explaining that the plates had 5 been delivered as 0.19-inch thickness, which was -- 6 MR BERESFORD: I think it was at page 206, if I remember 7 rightly. 8 THE CHAIRMAN: -- 4.83 mm. But there was never any response 9 from the Marine Department, was there? 10 MR BERESFORD: There's no formal approval. The letter is 11 not marked "approved", there's no plan marked 12 "approved", there's nothing of that nature. 13 THE CHAIRMAN: It was never adverted to in subsequent 14 correspondence? 15 MR BERESFORD: I don't believe it was, Mr Chairman, no. 16 Dr Armstrong, I think your evidence on a previous 17 occasion was that 4.83 mm was within the tolerance of 18 5 mm. So it could have been regarded as within the 19 tolerance, without approving a formal change. But it 20 wasn't a change in itself. 21 A. Yes, Mr Beresford. You make a valid point. However, as 22 you probably recall, I'm under the opinion that the 23 plating was actually less than 4.83, by some unknown 24 amount, and that the approved drawing at the present 25 time for Lamma IV still shows "5".</p>	<p>1 A. Yes, indeed. It worries me, therefore, there are four 2 organisations mentioned in the rules at the present 3 time, and how they interact with one another. 4 MR BERESFORD: And that leads on to your first possible 5 recommendation. You've noticed that: 6 "The term 'authorised organisation' [which is one of 7 those four organisations] is used throughout chapter II 8 section 3 of the code of practice as the persons who are 9 able to conduct surveys, but there is no definition of 10 what is an authorised organisation." 11 A. Not that I can find. 12 Q. You say: 13 "... it is unclear whether this refers to 14 a classification society ..." 15 And we can look at the pages. Page 3434 in the code 16 of practice, which is the commencement of section 3. We 17 can see that there's no definition of "authorised 18 organisation", although there is a term "authorised 19 surveyor". "Classification societies" is also defined. 20 So you've suggested that "authorisation" should be 21 defined? 22 A. Yes, sir. Some of my comments are perhaps a little 23 trivial, but I think they can be quite important. 24 Q. You've also suggested: 25 "Further clarification is needed to avoid the</p>
Page 94	Page 96
<p>1 THE CHAIRMAN: The point really is this: if these kind of 2 changes are to be made, and even if it was approved, 3 there should be some system of documenting it so that 4 the plans reflect the change? 5 A. Yes. 6 MR BERESFORD: And when you come across a thickness of 4.5 7 the question of whether you're to judge whether it's 8 within the tolerance of 5 mm or 4.83 mm should be clear? 9 A. Yes, and it gets back, Mr Beresford, to the issue of 10 considering the design as a whole. It could well be you 11 can put forward adequate proof to the survey authority 12 that 4.5 is adequate, but are there other factors that 13 you're not aware of that might require you to have 14 a thicker plating? For example, the spacing of the 15 stiffeners associated with the plating. They all have 16 an impact. And it's not generally satisfactory for 17 a survey authority to accept something without the 18 people doing the plan approval being aware of that 19 change, and why the change is necessary and how it will 20 impact on other aspects of safety. 21 THE CHAIRMAN: And all of that is information that's 22 available if there is an audit trail created? 23 A. Yes. 24 THE CHAIRMAN: Including, obviously, the drawings 25 themselves?</p>	<p>1 potential for breaches of safety, particularly some 2 feedback on how this has worked over the past six 3 years." 4 Can you just explain what you mean by that, please, 5 Dr Armstrong? 6 A. Yes. I'm sure that the Marine Department in their 7 wisdom have made this system work since the new 8 regulations came into effect. But I'm not at the moment 9 privy to how they have made it work, which is why I'm 10 suggesting some feedback would be useful. 11 MR BERESFORD: I note the time, Mr Chairman. 12 THE CHAIRMAN: Yes. 13 Dr Armstrong, we'll take our lunch break now and 14 we'll resume at 2.30 this afternoon. If you'd be kind 15 enough to be back so that we can begin taking your 16 evidence this afternoon at that time. 17 2.30. 18 (1.01 pm) 19 (The luncheon adjournment) 20 (2.30 pm) 21 THE CHAIRMAN: Good afternoon, Dr Armstrong. 22 A. Good afternoon, sir. 23 THE CHAIRMAN: May I remind you that you continue to testify 24 according to your oath. 25 Mr Beresford.</p>



Page 97	Page 99
<p>1 MR BERESFORD: Thank you, Mr Chairman. 2 Good afternoon, Dr Armstrong. We had just got to 3 the next item, the next issue under part A, issue (ii), 4 "Drawing Approval process", at paragraph A-15 of your 5 report, page 1643. 6 You revert here to the issue of ownership of safety 7 issues shown by drawings and documentation in 1995 which 8 you say were not taken by the survey authority, where 9 they were marked as "seen" rather than "approved". 10 You've noted that under the current requirements, 11 Cap 548G requires that drawings and documentation are 12 marked as approved and identified by date and signature. 13 "Drawings are approved by a 'recognised authority' 14 and copies of important documentation are provided to 15 Mardep." 16 In your view, these current requirements appear to 17 be satisfactory; is that right? 18 A. Yes, sir. 19 THE CHAIRMAN: Could you take us to the actual requirement 20 in this case so we can have a look at it. 21 MR BERESFORD: It's Cap 548G, which is tab 15 in the 22 legislation bundle. Part 3 begins at section 7. 23 Section 7 deals with the application, which is basically 24 to a new vessel. I won't go through that in detail. 25 Section 8 provides for:</p>	<p>1 Sections and Bulkheads drawing? 2 A. In theory, Mr Chairman, yes, but in practice I think it 3 needs some skill and understanding of the watertightness 4 issue for that to happen. 5 THE CHAIRMAN: Very well. 6 A. I have some private doubts. 7 THE CHAIRMAN: So of the long list of plans, as they're 8 called, the General Arrangement is the only one that 9 directly matches the plans we have, or is there 10 something else? 11 A. "Structures and scantlings", Mr Chairman, would cover 12 the construction drawings. 13 THE CHAIRMAN: Can someone tell me what the reference is to 14 that drawing? 15 A. 9(1)(c). 16 THE CHAIRMAN: I see the provision here, but what of the 17 various drawings that we've got does that fall under? 18 MR BERESFORD: If you just bear with me a moment, 19 Mr Chairman. 20 Mr Chairman, there isn't, I think, a plan referring 21 to scantling or scantlings. So it would have to be 22 a matter of interpretation as to which plans fell within 23 that section. 24 A. I think 203, 204, 205 would generally cover that. 25 MR BERESFORD: I think Dr Armstrong is referring to the</p>
Page 98	Page 100
<p>1 "... the director or a competent surveyor may, upon 2 application, approve plans relating to a local vessel in 3 accordance with this part." 4 Section 9 I think is the key section that's referred 5 to in this part of the report of Dr Armstrong. It says: 6 "No certificate of inspection or certificate of 7 survey shall be issued in respect of a local vessel that 8 falls within section 7(1)(a) or (b)(i) or (ii) unless 9 plans relating to the following parts or aspects of the 10 vessel, in so far as they are applicable, have been 11 approved under this part ..." 12 Then it lists out various parts, for example, 13 "general arrangements", which will be familiar to this 14 Commission, "tonnage measurements and calculations"; 15 "structures and scantlings"; "freeboard calculations"; 16 "arrangements relating to watertightness, 17 weather-tightness, bulkheads" -- 18 THE CHAIRMAN: Just pausing there. Applying these 19 provisions to the drawings we've been looking at, would 20 item (e) encompass the Sections and Bulkheads drawing? 21 A. It's the only reference I can find, Mr Chairman, in the 22 regulations that does mention watertightness and 23 bulkheads. 24 THE CHAIRMAN: Yes. But in your opinion, if legislation was 25 being applied in 1995 and 1996, would it have caught the</p>	<p>1 plans in marine bundle 2. Page 204 is Profile and Deck; 2 205 is Sections and Bulkheads; 202 is Shell Expansion. 3 THE CHAIRMAN: You said 203, 204, 205? 4 A. There may be others as well on either side. 5 THE CHAIRMAN: Very well. Thank you. But before we leave 6 the legislation, that deals with "No certificate of 7 inspection or certificate of survey shall be issued ..." 8 MR BERESFORD: Unless it's been approved. That's the point, 9 Mr Chairman. 10 THE CHAIRMAN: Yes, I follow that. And there are other 11 provisions at section 9(2), are there not, dealing with 12 different vessels? 13 MR BERESFORD: Well, that's a survey record of safety 14 equipment. 15 THE CHAIRMAN: Yes. 16 A. Section 10 covers the process itself. 17 THE CHAIRMAN: Yes. 18 MR BERESFORD: So section 10(1) provides the director with 19 four options. He can approve the plan; approve it 20 subject to conditions; refuse to approve it; or 21 temporarily withhold the approval. He may only approve 22 it if he's satisfied that the local vessel concerned, or 23 the relevant part, is built or arranged in accordance 24 with the plan. 25 Then, upon approval, the director is required to</p>

Page 101	Page 103
<p>1 endorse and sign upon every page, and, where it's 2 a booklet, a conspicuous part of the booklet. 3 He's required to include the name of the public 4 officer to whom the power to approve the plan is 5 delegated, rank and the date of approval. 6 Then there's the provision for the retention and 7 dissemination of copies, and notice of refusal of 8 approval. 9 THE CHAIRMAN: Yes. Thank you. 10 MR BERESFORD: Then, returning to your report at 11 paragraph A-16, you identify as an issue this fact: 12 "Technical requirements were not mandatory in 1995." 13 You note that under Cap 548, this authorises the 14 issues of codes of practice and makes such codes 15 admissible in court, and also, in part IV, it requires 16 that all local vessels be certified and licensed. 17 In your view, those requirements are satisfactory; 18 they give sufficient statutory backing, in other words, 19 to the technical requirements? 20 A. Yes. 21 THE CHAIRMAN: Presumably in 1995 there was a requirement 22 that local vessels be certified and licensed. We've 23 been looking at the certifications. 24 A. There was one for licences. I don't remember the one 25 for certification. You may well be right.</p>	<p>1 watertight subdivision had been calculated (by the 2 addition of ballast and fendering and other items), 3 resulting in a substantial decrease in freeboard to the 4 margin line and which was not recognised." 5 A. Yes. 6 Q. You've then turned to look at the current requirement in 7 Cap 548G, and specifically -- 8 THE CHAIRMAN: Just pausing there. 9 What you have in mind there are the changes that 10 occurred from 1996, first of all in 1998 when 11 8.25 tonnes of lead ballast was added to the vessel, and 12 then in 2005 when that same lead ballast was raised by 13 10 inches? 14 A. More to do with the 1998 changes, Mr Chairman, when the 15 ballast weight was added, plus the weight of the 16 fendering and I believe some other alterations which 17 resulted in a -- I remember it being a 15-tonne increase 18 in weight, which is a substantial amount. 19 THE CHAIRMAN: And only 8.25 was the lead? 20 A. Only 8.25 was the lead. 21 THE CHAIRMAN: Yes. 22 A. It was that alteration that was my major concern, 23 because that is not captured, other than in the intact 24 stability. The changes with the lead being lifted up 25 were captured for intact stability, and perhaps would</p>
Page 102	Page 104
<p>1 MR BERESFORD: Mr Chairman, you will recall that the 2 instructions for survey, both the Blue Book and the 3 1995 Instructions, had no statutory underpinning. 4 THE CHAIRMAN: I understand that. But nevertheless, there 5 was a regime by which a licence or a certificate of 6 survey was issued. 7 MR BERESFORD: Yes. But I think Dr Armstrong's point is 8 that the instructions for survey had no statutory 9 backing. 10 THE CHAIRMAN: No, I follow that. But presumably what 11 happened was, in the exercise of their statutory 12 discretion, if you didn't comply with the Blue Book in 13 the way the Marine Department wanted, they wouldn't 14 issue a certificate of survey. 15 A. Presumably. 16 THE CHAIRMAN: Yes. 17 MR BERESFORD: But now under Cap 548, it's all done under 18 the code of practice, which is issued under section 9 of 19 Cap 548? 20 A. Yes. 21 Q. Then moving on to the next issue, issue (iii), 22 "Alteration to local vessels", here you've noted: 23 "One of the major contributing factors in the loss 24 of the Lamma IV was the increase in the weight of the 25 vessel (lightsip) by over 30% some years after the</p>	<p>1 not have made a large amount of difference to the 2 watertight subdivision. 3 THE CHAIRMAN: Yes. 4 A. So a difference between the 1995 as-built and the 1998 5 changes that I was trying to make sure were captured. 6 THE CHAIRMAN: Yes. Thank you. 7 MR BERESFORD: Now, the current requirements are contained 8 in Cap 548G of the regulations, at tab 15 of the 9 legislation bundle. 10 THE CHAIRMAN: Yes. 11 MR BERESFORD: Section 7, Mr Chairman. Subsection (1) 12 provides that this part, part 3, applies to a local 13 vessel that is a new vessel, et cetera. 14 Sorry, we've just looked at this. 15 I'm just wondering if I'm looking at the right 16 section. You say: 17 "Cap 548G requires any modification to the vessel to 18 be approved by Mardep ..." 19 You've referred in your footnote to part 3. No, I'm 20 looking at the wrong footnote. That's my confusion. 21 It's my fault. It should be part 10. Section 75. 22 Mr Chairman, do you have section 75? 23 THE CHAIRMAN: I'm just making a note about another matter. 24 One of the difficulties that we've got is this report 25 only reached us at 9.45 this morning, so we're playing</p>

Page 105	Page 107
1 catch-up, as no doubt everyone else is. 2 MR BERESFORD: Indeed, Mr Chairman. 3 THE CHAIRMAN: So I'm making a note about another matter at 4 the moment. 5 MR BERESFORD: I'll just pause for a moment, then. 6 THE CHAIRMAN: Which provision do you want us to look at? 7 MR BERESFORD: Section 75 of Cap 548G, tab 15. 8 THE CHAIRMAN: Dealing with modifications? 9 MR BERESFORD: Yes. Part 10 is headed "Alteration to local 10 vessels", section 75, "Application of part 10": 11 "This part applies to a local vessel -- 12 (a) in respect of which one or more of the following 13 instruments is in force ..." 14 It refers to "a certificate of inspection"; 15 "a certificate of survey"; and other instruments. 16 Then: 17 "(b) that it is to be altered -- 18 (i) to an extent that will render the particulars 19 stated in any certificate, record or declaration 20 referred to in paragraph (a) inaccurate; but 21 (ii) not to the extent that will render the vessel 22 a new vessel." 23 So, your point, Dr Armstrong, is that this requires 24 any modification to the vessel to be approved, but only 25 if the particulars stated on any certificate are	1 would you not? 2 A. That was my proposal, yes. Or to insert in (A), where 3 it says "its length, breadth or depth", it's possible to 4 include "or maximum draft", or we could consider "or 5 freeboard". 6 Q. Let's just take the one that you've proposed in your 7 report to start with. A new (D) which would read: 8 "... alteration -- 9 (i) of -- 10 (D) its lightship weight, or its maximum draft, or 11 its freeboard, as appropriate, which would require 12 recalculation of the watertight subdivision and 13 associated bulkhead locations and damage stability 14 calculations." 15 A. Yes. 16 Q. Perhaps the exact drafting we can lead to the 17 legislative draftsmen if they decide take it up. 18 A. Indeed. 19 THE CHAIRMAN: So applying the existing provisions to the 20 1998 adding of ballast to Lamma IV, there being no 21 stipulation as to weight, there would be required no 22 approval of the modification? 23 A. There was a requirement stated to reinvestigate the 24 intact stability, sir, and that was done. But there was 25 no appreciation that I can discover which showed they
Page 106	Page 108
1 modified? 2 A. Yes. 3 Q. And the trouble is that the certificate does not include 4 the details of the weight of the ship. So if there's 5 any alteration in the weight, then that's not covered by 6 this requirement? 7 A. That is my concern, yes. 8 Q. And so you've suggested in your consideration 5, 9 strongly suggested: 10 "... the definition of 'new vessel' be amended to 11 include a new item under the code of practice 12 chapter I ..." 13 Perhaps we can just turn that up, because it's 14 easier to understand it in context. It's page 3438 in 15 the code of practice. The code of practice, page 3437 16 at the bottom: 17 "'new vessel' means -- 18 (a) a local vessel -- 19 (i) that has never been licensed ... 20 (b) a local vessel that does not fall within 21 paragraph (a) and undergoes, on or after the 22 commencement date of the survey regulation, 23 alteration -- 24 (i) of ..." 25 Dr Armstrong, you would add a new paragraph, (D),	1 needed to redo the watertight subdivision. The intact 2 stability and the damage stability were redone, but as 3 we know, the damage stability recalculation was 4 incorrect, because it assumed a watertight bulkhead on 5 frame 1/2. But watertight subdivision was never looked 6 at. And yet the margin line was immersed. 7 THE CHAIRMAN: Thank you. 8 MR BERESFORD: You have also suggested for consideration at 9 number 6, again strongly suggested that the certificate 10 of survey -- I think you mean the instrument referred to 11 in section 75(a)? 12 A. Yes. 13 Q. "... and the licence, record the vessel lightship 14 particulars as well as the other principal 15 characteristics." 16 A. Yes. It lists the main characteristics of the vessel, 17 but not the weight, surprisingly. 18 Q. That's surprising to you, is it, Dr Armstrong? 19 A. Yes. It's an important characteristic of the vessel. 20 Q. In other words, you would have expected to find it there 21 regardless of the Lamma IV incident? 22 A. Well, the main reason for strongly suggesting it is that 23 it immediately picks up that if you make major changes 24 to the vessel, and an increase in weight of the vessel 25 of 30 per cent is a very large change to the craft,

Page 109	Page 111
1 under the old legislation, that would not have been 2 picked up. But by putting it in the licence, it 3 automatically, I would suggest, would get picked up. 4 Q. And it was a curious feature of the evidence in this 5 case that nobody was able to offer any explanation for 6 the increase in weight over and above the added ballast. 7 A. I've not heard any good explanation. 8 Q. The shipbuilder was specifically asked. 9 THE CHAIRMAN: Were we not told that there was fendering 10 added? 11 A. I made a comment about fendering, yes. 12 MR BERESFORD: Fendering has been added, Mr Chairman, but 13 that didn't account for the difference. 14 THE CHAIRMAN: Didn't account for the whole of the 15 difference? 16 MR BERESFORD: No, not the whole of the difference. 17 THE CHAIRMAN: Yes. We've seen some correspondence about 18 fendering, have we not? With the Marine Department? 19 Together with the information being given as to the 20 proposal to add lead ballast? 21 MR BERESFORD: If I remember rightly, Mr Chairman, the 22 fendering was added at a different time. 23 A. Page 394 of marine bundle 2. Or 3, sorry. 24 Q. So that's a letter dated 26 March 1997, enclosing 25 a drawing for the additional fender.	1 required to submit for approval." 2 And you suggest instead: 3 "Estimates of the effects of the modification on 4 intact stability, damage stability and watertight 5 subdivision should be submitted for approval." 6 Then you've also suggested an amendment to 7 paragraph 9.2, which I think starts off similar. The 8 existing version reads: 9 "If the stability estimates show that the 10 alterations will adversely affect the stability of the 11 vessel, a lightweight survey, or an inclining 12 experiment, or a rolling period test, as appropriate, 13 should be conducted." 14 And you have suggested: 15 "If the stability estimates show that the 16 alterations will adversely affect the intact or damage 17 stability of the vessel, an inclining experiment, or 18 a lightweight survey or a rolling period test, as 19 appropriate, should be conducted." 20 Then you've added this: 21 "If the watertight subdivision estimates show that 22 the alterations will adversely affect the flooding 23 capability of the vessel, additional buoyancy may be 24 necessary." 25 Now, in paragraph 9.1, it's fairly easy to see what
Page 110	Page 112
1 A. (Witness nods). 2 Q. Whereas the letter enclosing the revised stability book 3 estimation was dated 10 March 1998 -- 4 THE CHAIRMAN: Yes, you're quite right. But as you say, no 5 full explanation has been given for the increased 6 overall weight. 7 MR BERESFORD: So what I'm asking you, Dr Armstrong, is 8 whether this would have the effect of drawing people's 9 attention to the weight of the vessel so that if changes 10 are made, then they have to note them and it would 11 become apparent at least at the annual survey? 12 A. That was the purpose of documenting this one. I felt 13 that would provide that obvious notification to people 14 that it needed to be looked at. 15 Q. Yes. Thirdly, you have suggested for consideration at 16 number 7 further modification to the code of practice at 17 page 3487, which is paragraph 9 of chapter IV, headed 18 "Freeboard and stability". We've got paragraph 9 on the 19 screen. So the first sentence would remain the same: 20 "Before a vessel is to undergo any modifications, 21 application should be submitted specifying the nature of 22 the proposed alterations." 23 Then in the existing code of practice, the next 24 sentence reads: 25 "Stability estimates for the modifications may be	1 you've suggested, that instead of stability estimates, 2 you've spelt it out in terms of intact stability and 3 damage stability, and you've also added watertight 4 subdivision. 5 A. Yes. 6 Q. And similarly in paragraph 9.2, you've replaced the 7 reference to "stability" with "intact or damage 8 stability". 9 A. I think "intact or damage" was in the original, 10 Mr Beresford. 11 THE CHAIRMAN: Yes, it was. 12 MR BERESFORD: In paragraph 9.2, it says: 13 "If the stability estimates show that the 14 alterations will adversely affect the stability of the 15 vessel ..." 16 A. Ah, yes. 17 Q. And you've changed it to "adversely affect the intact or 18 damage stability of the vessel." 19 A. Sorry, I was reading the wrong line. 20 THE CHAIRMAN: The wrong line was on the screen, that's why. 21 So was I. 22 MR BERESFORD: You've changed the order a bit. In the 23 original it says: 24 "... a lightweight survey, or an inclining 25 experiment, or a rolling period test, as appropriate,

Page 113	Page 115
<p>1 should be conducted." 2 A. I don't think that was important. That was probably my 3 error. Could be the same words. 4 Q. So there's nothing in that? 5 A. In the order, no. 6 Q. Then the important amendment is the addition: 7 "If the watertight subdivision estimates show that 8 the alterations will adversely affect the flooding 9 capability of the vessel, additional buoyancy may be 10 necessary." 11 A. Yes. 12 Q. Do you wish to expand upon that at all? 13 A. We did have a discussion when I gave evidence previously 14 that one way of -- if the problem had been identified, 15 then it could have been solved by adding additional 16 buoyancy. That was one way of doing it. We did talk 17 about some other methods. But this is the most 18 practical way of doing it. 19 Q. So, in summary, three proposals relating to the 20 alteration of local vessels: (1) the definition of "new 21 vessel" be amended; (2) Cap 548G, section 75 be amended 22 to require the relevant instrument to record the 23 lightship particulars; and (3) these modifications be 24 made to paragraphs 9.1 and 9.2 of the code of practice? 25 A. Yes, sir.</p>	<p>1 MR MOK: Yes. I think it's a supplemental statement. 2 THE CHAIRMAN: Yes. 3 MR MOK: It's page 3953-5. 4 THE CHAIRMAN: Thank you. But where is the reference, as is 5 asserted in Dr Armstrong's report, to SOLAS: "other than 6 to state that life-saving appliances conforming to the 7 life-saving appliances code of SOLAS would be 8 acceptable." Where is that stated? 9 MR BERESFORD: Mr Chairman, my understanding is that this is 10 not in the legislation or regulations made under it, but 11 that it's Marine Department policy. There's no 12 definition -- 13 A. I believe it's in the code of practice in chapter VII. 14 MR BERESFORD: Yes. If we look at page 3507, in the 15 definitions, we see a definition of "LSA Code", meaning: 16 "... the International Life-Saving Appliance (LSA) 17 Code adopted by the Maritime Safety Committee of the 18 Organisation by Resolution MSC.48(66)." 19 Also definitions of SOLAS pack life rafts. And 2.1: 20 "Life-saving appliances should be of approved types. 21 Appliances which conform to the LSA Code ... are 22 acceptable." 23 Is that what you had in mind, Dr Armstrong? 24 A. It is, yes. I'm sorry, my reference in my report is 25 incorrect.</p>
Page 114	Page 116
<p>1 Q. The next issue that you've identified in your report, 2 (iv), is headed "Life-saving arrangements". You've 3 noted: 4 "Cap 548 and its subsidiary legislation do not 5 appear to have any definition of a life jacket, or the 6 expected performance characteristics of a life jacket, 7 other than to state that life-saving appliances 8 conforming to the life-saving appliances code of SOLAS 9 would be acceptable." 10 You've also referred us to page 32 of your report, 11 which is in section C, which we'll be coming to. But 12 for now, your proposal is that there be included in 13 Cap 548, section 2 a definition of "life jacket". What 14 you have suggested -- I'll just read it out: 15 "... means a life jacket certified in accordance 16 with ISO 12402-3:2006 (Personal Flotation Devices -- 17 Part 3: Life jackets, performance level 150 -- Safety 18 requirements), or equivalent, to the satisfaction of the 19 Director." 20 THE CHAIRMAN: Could you take us to the provision in Cap 548 21 that refers to life-saving appliances by reference to 22 SOLAS? 23 Mr Mok, I wonder if my memory is correct, that this 24 was dealt with in one of the statements of Mr Wong 25 Wing-chuen?</p>	<p>1 THE CHAIRMAN: Thank you. 2 MR BERESFORD: As far as the legislation is concerned, and 3 the regulations made under it, it's dealt with in 4 Cap 548G, section 32, where there's no reference to 5 SOLAS or any international convention. This provides in 6 general terms in subsection (1): 7 "All life-saving appliances provided on board 8 a local vessel shall be -- 9 (a) sufficient to ensure the safety of persons on 10 board the vessel; 11 (b) properly maintained; 12 (c) regularly inspected; 13 (d) fit for the function intended; and 14 (e) in good and serviceable condition." 15 Then in subsection (2), it has specific requirements 16 by reference to the schedules, which we've seen and with 17 which we're familiar. 18 THE CHAIRMAN: Yes. 19 MR BERESFORD: Just while we're here, can I ask you, 20 Dr Armstrong, this provides: 21 "All life-saving appliances provided on board 22 a local vessel shall be -- 23 (a) sufficient to ensure the safety of persons on 24 board the vessel ..." 25 If there are small children on board a vessel, but</p>

Page 117	Page 119
<p>1 only adult life jackets, would they be sufficient to 2 ensure the safety of such small children? 3 A. I would say not, Mr Beresford, because they would not 4 fit. 5 THE CHAIRMAN: Just give me a moment, please. Thank you. 6 MR BERESFORD: You've suggested a definition of a life 7 jacket -- you've suggested certified, but you haven't 8 said by whom. I presume you mean just a life jacket 9 that complies with the international standard that 10 you've referred to; is that right? 11 A. At the end of the day, somebody has to certify it as 12 being built to that standard. It's all very well having 13 an ISO standard, but somebody has to certify that it 14 meets it. 15 Q. So could the definition perhaps say "a life jacket 16 approved by the Director as complying with ISO", 17 et cetera? 18 A. Yes, it could. 19 Q. And does that international standard provide for 20 children's life jackets? 21 A. It does. The level 150 actually signifies it will suit 22 a person weighing up to 150 kg, and it's designed as 23 a coastal life jacket, which is easily put on and 24 usually has buckles, and I believe is a suitable 25 standard for me to suggest would meet the requirements</p>	<p>1 Q. Three sizes of life jackets? 2 A. I do not have a copy of this ISO standard, 3 unfortunately, and I do not know if it includes -- 4 I understand it does include infants and children, but 5 I have not seen it so I'm not sure. It's the standard 6 that's adopted in a number of different countries, 7 particularly in Europe, for coastal life jackets, and 8 also in Australia. 9 THE CHAIRMAN: What then is the difference between a coastal 10 life jacket and an ocean life jacket? 11 A. I don't understand the full ramifications of the 12 difference between them, Mr Chairman. Certainly I'm 13 aware that a full life jacket is designed to do 14 a certain number of features, including righting 15 an unconscious person in the water and holding their 16 mouth a certain distance above the water level. I think 17 a coastal life jacket doesn't have quite the same 18 onerous requirements for holding the person's mouth so 19 far above the water. 20 THE CHAIRMAN: Thank you. 21 A. Full life jackets are also much more difficult to put 22 on, and generally I understand -- I haven't seen one 23 which has buckles on that is easy to put on. 24 THE CHAIRMAN: I'm sorry, you haven't seen? 25 A. I haven't seen one that's fully compliant which has</p>
Page 118	Page 120
<p>1 in Hong Kong local waters. 2 There is a children's equivalent, but it's -- I'm 3 not sure if it's exactly the same ISO number. A little 4 later on in my evidence, I also talk about the need for 5 infant life jackets. So there are in fact three sizes 6 of life jackets which may be necessary. 7 THE CHAIRMAN: How are the different categories 8 distinguished one from the other in terms of weight? 9 A. Their weight-carrying capability? 10 THE CHAIRMAN: Yes. 11 A. I don't have the numbers in my head, Mr Chairman, I'm 12 sorry. 13 THE CHAIRMAN: Does 43 kg ring a bell, as far as children 14 are concerned? 15 A. I thought it was 45, if I'd been pressed. But you may 16 be right. 17 THE CHAIRMAN: And infant -- can you help us as to that, or 18 perhaps come back on that? 19 A. I'd have to come back to you on that. 20 THE CHAIRMAN: Thank you. 21 MR BERESFORD: Would this definition that you have proposed, 22 then, be sufficient to include these other standards? 23 A. I'm not sure, Mr Beresford. 24 Q. So you've said there are three standards? 25 A. I said there were three sizes of life jackets.</p>	<p>1 buckles. 2 THE CHAIRMAN: Yes. 3 A. There may be, but I haven't seen one. 4 MR BERESFORD: I suppose it's commonsense, isn't it, that 5 you don't need the same safety equipment in Victoria 6 Harbour as you need in the Southern Ocean? 7 A. That's the philosophy, yes. 8 Q. Then you've picked up that in schedule 3 table 7 to 9 Cap 548G -- this is, I think, an incidental point, is it 10 not? It's not directly relevant: 11 "... table 7 does not specify the need for 12 children's life jackets for class IV vessels licensed to 13 carry not more than 60 passengers." 14 Given that such a vessel would only require three 15 children's life jackets, I take it it didn't seem to you 16 to be -- it wouldn't be particularly onerous to require 17 it, so you suggest that that might be subject to 18 revision. 19 A. Yes. 20 Q. And just to read it on to the record, your 21 consideration 9 is: 22 "delete '100%' from table 7 and replace with '100% 23 adult life jackets + 5% children life jacket'. 24 A. Yes. 25 Q. In other words, the same as the table we're concerned</p>

Page 121	Page 123
<p>1 with, table 1? 2 A. The same as class I vessels. 3 Q. Then in paragraph A-23, you raise the issue of the 4 origin of the requirements for 5 per cent life jackets 5 for children. You say that you don't understand that. 6 You say: 7 "SOLAS requirements state 'a number of life jackets 8 suitable for children equal to at least 10% of the 9 number of passengers on board shall be provided or such 10 greater number as may be required to provide a life 11 jacket for each child'. " 12 A. Yes, and it's the final part of that that I think is 13 important. 14 Q. Yes. 15 THE CHAIRMAN: May we see the SOLAS requirement, please? 16 A. It's document A of my report. 17 MR BERESFORD: Document A begins at page 1683. 18 THE CHAIRMAN: Yes. 19 MR BERESFORD: Can you help us, please, Dr Armstrong? 20 THE CHAIRMAN: Regulation 7, I think the footnote says. 21 A. It's page 1692. 22 MR BERESFORD: Paragraph 2 to regulation 7? 23 A. 2.1. 24 Q. 2.1.1, in fact? 25 A. Correct.</p>	<p>1 operating offshore, within a certain distance. And 2 somewhere in between. I cannot recall. 3 THE CHAIRMAN: This is clearly an important issue, so may 4 I ask you, if you could come back to us -- 5 A. I will do that. 6 THE CHAIRMAN: -- because it's always useful to compare the 7 regime operating in other well-regulated jurisdictions, 8 and Australia and the United Kingdom would fall into 9 that category. 10 A. I do have the documentation with me, so I could do that 11 quite quickly. 12 THE CHAIRMAN: Thank you very much. 13 MR MOK: Mr Chairman, earlier you mentioned 43 kg. 14 THE CHAIRMAN: Yes. 15 MR MOK: I think the reference you might have in mind is in 16 one of the minutes of meetings between Mardep and the 17 industry, which is exhibited in Mr Wong Wing-chuen's 18 statement. Can I refer you to that? 19 THE CHAIRMAN: Yes. Page? 20 MR MOK: Page 4609-3 in marine bundle 13. 21 THE CHAIRMAN: Yes. This is the paragraph that you 22 corrected, did you not? 23 MR MOK: That's right. And the reference there is to the 24 IMO Standard. So if it is helpful, we can supply a copy 25 of that standard to the Commission.</p>
Page 122	Page 124
<p>1 Q. "A life jacket complying with the requirements of 2 paragraph 2.2 .1 or 2.2.2 of the code shall be provided 3 for every person on board the ship and, in addition: 4 .1 a number of life jackets suitable for children 5 equal to at least 10% of the number of passengers on 6 board shall be provided or such greater number as may be 7 required to provide a life jacket for each child". 8 THE CHAIRMAN: What is the position in the United Kingdom or 9 Australia as to the provision of children's life 10 jackets? 11 A. In Australia, I know that the requirement is to have the 12 greater number, to cover the number of children on 13 board. 14 THE CHAIRMAN: So every child must be provided with a life 15 jacket? 16 A. Correct. I don't know the position in the UK. 17 THE CHAIRMAN: Is that in this recent federally made 18 legislation? 19 A. It certainly is in the federally made one. You'd have 20 to look at each of the states' ones to see what they 21 have suggested, and I don't know. 22 THE CHAIRMAN: And to which categories of vessel does that 23 apply? 24 A. It certainly would not apply to vessels operating in 25 smooth waters, but would certainly apply to vessels</p>	<p>1 THE CHAIRMAN: Yes. 2 MR MOK: I understand that the definition of "infant" is the 3 bit that I have crossed out, the 15 kg and 100 cm. 4 THE CHAIRMAN: You think, then, an infant is up to 15 kg -- 5 MR MOK: That's right. 6 THE CHAIRMAN: -- and a child from there up to 43? 7 MR MOK: Between there to 43. But we will double-check that 8 and supply to you a copy of the IMO Standard. 9 THE CHAIRMAN: Thank you very much. 10 MR BERESFORD: I'm grateful to my learned friend. 11 So, in your report, you have recommended for 12 consideration at number 10: 13 "delete '100%' from table 7 and replace with '100% 14 adult life jackets + 5% children life jacket or such 15 greater number as may be required to provided a life 16 jacket for each child on board'. " 17 A. Yes. 18 Q. I think you mean table 1, don't you? Perhaps you mean 19 table 7 as well, but -- 20 A. I was referring under A-22 to table 7, so ... 21 Q. Table 7 looks as though it's been carried over from your 22 previous issue and consideration. 23 A. Possibly. 24 Q. But table 7 refers to: 25 "Class IV vessels that are licensed to carry not</p>

Page 125	Page 127
<p>1 more than 60 passengers and are not let for hire or 2 reward and operate within waters of Hong Kong." 3 A. I think I mean table 1. 4 Q. So we're not really concerned with that in this Inquiry. 5 We're concerned with schedule 3, part 2, table 1, which 6 refers to class I vessels. 7 A. Thank you. 8 Q. At A-24, we come to the next issue which relates to the 9 storage of life jackets in plastic bags. You say: 10 "Many life jackets remaining on board Lamma IV were 11 stored in unmarked plastic bags held within the orange 12 bag under the seat, which meant that they were not 13 immediately identified as life jackets. Furthermore it 14 is understood that some of the life jacket tapes were 15 tied together and the knots were difficult to untie." 16 You've noted in your recommendation for 17 consideration at number 11 that: 18 "Plastic bags were easily ripped open, but in 19 a panic situation it is suggested that they were not 20 immediately identifiable as containing life jackets. 21 The reason for the plastic bags is understood to be to 22 prevent attack by insects ..." 23 Correct me if I'm wrong, Dr Armstrong, or perhaps 24 somebody else will, but I'm not sure that anybody 25 actually said that they had any difficulty identifying</p>	<p>1 location of these photographs. There's another one 2 where you can see the plastic bag more clearly at 3 page 324. 4 THE CHAIRMAN: I think we'd been referred to these 5 photographs so that we can read what is on the yellow 6 pouch, marked very clearly, at least in English, and 7 presumably in Chinese characters, "Life jacket". 8 MR McGOWAN: You can actually also see inside the plastic 9 bag in these photographs the orange that you referred 10 to, sir. 11 THE CHAIRMAN: We have the point. Thank you. 12 A. Then of course the point about the tapes of the life 13 jackets themselves being -- 14 MR BERESFORD: I'm coming to the tapes in a moment, yes. 15 Just focusing on the plastic bags for a moment. 16 So when you refer to the knot, you mean a knot in 17 the plastic bag? 18 A. A knot in the plastic bag. It did confuse me for 19 a short period of time. 20 Q. And in answer to my question, the evidential foundation 21 for this is your inspection, rather than any evidence 22 that's been recorded? 23 A. Yes, correct. 24 Q. You've also said: 25 "... it is understood that some of the life jacket</p>
<p>Page 126</p> <p>1 life jackets as life jackets. 2 A. I can only repeat my experience, Mr Beresford. When 3 I went on board Lamma IV and I sat down in a chair and 4 I saw under the chair there were life jackets clearly 5 marked in English, with some Chinese characters, and 6 didn't have any difficulty in recognising there would be 7 a life jacket under the seat. But I was very surprised 8 when I reached underneath and pulled out a white plastic 9 bag, which has been described as a garbage bag, because 10 my mind was immediately a little confused. And I wasn't 11 even in a panic situation. "What have I got here in 12 this plastic bag? Is it somebody's lunch? What do I do 13 about it? Do I undo the knot?" 14 Q. Knots is a different matter. 15 A. So eventually I just ripped it open and of course -- 16 THE CHAIRMAN: And you told it us that was easily done, as 17 I remember? 18 A. As I said here, it was easily done. 19 THE CHAIRMAN: So this problem could be solved if the 20 plastic bag were transparent, then you would see the 21 orange bag beneath it. 22 A. I bow to your wisdom. 23 MR BERESFORD: We can perhaps remind ourselves with 24 a picture at police bundle III, page 141. I'm grateful 25 to my learned friend Mr McGowan for reminding me of the</p>	<p>Page 128</p> <p>1 tapes were tied together and the knots were difficult to 2 untie." 3 A. Certainly on the ones I inspected, the tapes were tied 4 together but they were able to be undone. Just there 5 were a lot of them. 6 Q. So that would imply an inadequate inspection, would not? 7 A. Possibly, yes. 8 Q. And you've noted the current requirement in Cap 548G, 9 schedule 3, part 1, section 2(b), which is headed 10 "Operational readiness and maintenance of life-saving 11 appliances", and provides: 12 "Whenever a local vessel is being used or operated, 13 every life-saving appliance carried on board the vessel 14 shall be -- 15 (a) in working order; 16 (b) ready for immediate use; and 17 (c) placed in a position easily accessible." 18 So, of course, if the tapes are knotted, then 19 they're not exactly ready for immediate use? 20 A. Yes. I said "possibly" in answer to your previous 21 question because it crossed my mind, Mr Beresford, that 22 the survey may have been satisfactory but whoever then 23 put all the life jackets back underneath the seats may 24 have wrapped the tapes around the life jacket. So it 25 may not have been the survey.</p>



Page 129	Page 131
1 Q. I think I referred to inadequacy of the inspection, and 2 advisedly so, because of course there's an annual survey 3 which involves a survey by a Government surveyor, but 4 there's also a weekly inspection. 5 A. Ah. I'm sorry. I misunderstood. 6 THE CHAIRMAN: Perhaps it's at the end of each weekly 7 inspection that they're neatly tied away. 8 MR BERESFORD: Anyway, under the heading "For 9 Consideration 11", you've simply said that the 10 Commission will need to decide whether this plastic bag 11 solution is an acceptable solution. 12 Turning then to your next head, the next issue, 13 issue (v), "Redundancy of emergency electrical power". 14 The issue you've identified is this: 15 "The source of the emergency electrical power should 16 be separate from the main power supply, to avoid loss of 17 power in case of fire or flooding in the engine room." 18 It's that separation that you mean by "redundancy"; 19 is that right? 20 A. Yes, it is. 21 Q. You've referred us to the code of practice at page 3458. 22 THE CHAIRMAN: Which bundle? 23 MR BERESFORD: The code of practice is in marine bundle 11, 24 Mr Chairman. There's a copy in the legislation bundle. 25 I'm not sure which copy you're referring to on a regular	1 the engine room? 2 A. Or the generator that's in -- 3 THE CHAIRMAN: Or the generator. 4 A. Yes, correct. 5 THE CHAIRMAN: Of course, on Lamma IV they were in the 6 engine room -- 7 A. Yes. 8 THE CHAIRMAN: -- albeit in boxes of some degree of 9 tightness, or not? 10 A. Yes. And also the engine room is the greatest source of 11 fire on board a vessel. 12 THE CHAIRMAN: And of course, that placed them well below 13 the waterline as well? 14 A. It did. 15 THE CHAIRMAN: On a vessel like Lamma IV, where might the 16 batteries to be used for the emergency lighting be 17 located? 18 A. I can only refer to other designs, and that can be in 19 an emergency battery locker behind the wheelhouse, 20 somewhere in that region. 21 THE CHAIRMAN: Yes. Does that create any problems for 22 charging the batteries from the distance from your 23 generators or your engine? 24 A. I don't believe so. It's a length of cable. 25 THE CHAIRMAN: Yes.
Page 130	Page 132
1 basis. 2 THE CHAIRMAN: And in bundle 11, where do I find it? 3 MR BERESFORD: The code of practice begins at page 3416, and 4 I'm referring, you, Mr Chairman, to page 3458. 5 THE CHAIRMAN: Thank you. 6 MR BERESFORD: Pages 3458 and 3459. 7 This is a table in chapter II, which is headed 8 "Survey/Inspection, Issuance of Certificate and Plan 9 Approval", and it's in section 7, which is headed 10 "Survey/Inspection Items and Survey/Inspection 11 Programmes". There are three tables set out in 12 section 7: table 1, "Initial Survey"; table 2, 13 "Periodical Survey"; table 3, "Final Inspection". 14 Table 3, "Final inspection", is at pages 3458 to 15 3459. You note that this does not have a requirement 16 for redundancy of emergency electrical power or 17 a separate source of power supply. 18 THE CHAIRMAN: Is there any provision for emergency power? 19 A. Yes. I believe page 3473 might help. 20 THE CHAIRMAN: Thank you. 21 A. Paragraph 21.5. 22 THE CHAIRMAN: So the point you're making is that although 23 there is a provision that requires an emergency power 24 source, it doesn't provide that it should be kept 25 separate from the batteries, which are likely to be in	1 MR BERESFORD: There is a reference to an emergency power 2 system on page 3449. This is in a different chapter, 3 dealing with the submission of plans and data. It 4 appears to be applicable only to category B vessels, 5 according to the annotation at asterisk 9. 6 THE CHAIRMAN: Category what vessel? 7 MR BERESFORD: B. 8 THE CHAIRMAN: What is a category B vessel? 9 A. It's a cargo vessel. 10 MR BERESFORD: It's chapter I, section 5, "Category of 11 Vessel". "Launch" and "Ferry Vessel" are both 12 category A, as can be seen from page 3440. 13 Then there's also provision, just about where you're 14 putting your proposed amendment, at paragraph 21.5, 15 page 3473: 16 "The vessel's emergency lighting, navigation lights 17 for vessels of length exceeding 24 metres, fixed fire 18 extinguishing system ... should be provided with 19 emergency power supply of sufficient capacity." 20 So it seems that there's a provision requiring 21 an emergency power supply, but not expressly separated? 22 A. Correct, yes. 23 THE CHAIRMAN: Was the location of the auxiliary batteries 24 dealt with in plans that we've looked at? I know you 25 tried to help us with the circuit diagram. But was that

<p style="text-align: right;">Page 133</p> <p>1 a plan that the Marine Department would have seen? 2 A. It was a plan that was submitted to the Marine 3 Department. I cannot recall if that particular one was 4 marked "approved" or "seen", but I think it was 5 approved, sir. 6 THE CHAIRMAN: Can you remember the title of the plan? 7 A. It's at page 317 in marine bundle 2, sir. 8 THE CHAIRMAN: Yes. 9 A. This is not an approved copy, I'm sorry. They are 10 shown, if you would like me to position the cursor -- 11 but this is only a schematic, and this isn't necessarily 12 the exact location. 13 THE CHAIRMAN: I recall you took us to this on the last 14 occasion. 15 A. I did, sir, yes. 16 THE CHAIRMAN: And it was your opinion that they were the 17 ones on the port side of the vessel. 18 A. Yes. Just below the cursor there. 19 MR BERESFORD: The point is that they were located in the 20 engine room; isn't that right? 21 A. Yes. 22 THE CHAIRMAN: So in a place where fire was a possibility -- 23 MR BERESFORD: Or flooding. 24 THE CHAIRMAN: -- and below the waterline? 25 A. Correct.</p>	<p style="text-align: right;">Page 135</p> <p>1 A. Thank you. 2 Q. But perhaps consideration 13 would suggest "the 3 emergency source of power shall not be located below the 4 deepest load waterline or in the machinery space"? 5 A. Yes. 6 THE CHAIRMAN: As you state, the obvious place in Lamma IV 7 would have been in the wheelhouse? 8 A. Well, I'm not sure in the wheelhouse is the right place, 9 sir. 10 THE CHAIRMAN: Because of the fire danger there? 11 A. Because of the fact there is a fire danger, and 12 batteries of this type usually give off hydrogen, which 13 can be or is a flammable gas. So they have to be vented 14 to atmosphere. 15 THE CHAIRMAN: Yes. As it was in the engine room? 16 A. As it was in the engine room. 17 MR BERESFORD: We've jumped a bit, because we've jumped the 18 issue at paragraph A-28 in your report, but I'll come to 19 that. Can I just read your consideration 12 into the 20 record, and that was: 21 "Add an additional item to the code of practice 22 chapter II section 7 table 3, C&amp;D: [after item] 9 23 'Location of emergency source of electrical power should 24 be outside machinery space and above 25 waterline-verification'."</p>
<p style="text-align: right;">Page 134</p> <p>1 MR BERESFORD: When you say that the code of practice does 2 not have a requirement for redundancy of emergency 3 electrical power, it's probably not quite accurate 4 because it does provide for emergency electrical power, 5 which must be something different from the standard 6 electrical power. 7 A. I understand, yes. Redundancy of location, perhaps. 8 Q. But what it doesn't provide for is that the source of 9 the emergency electrical power should be in a different 10 location. 11 THE CHAIRMAN: I think we're all at one about that. 12 A. Yes. 13 THE CHAIRMAN: It's the use of the word "redundant" you're 14 taking issue with. 15 A. The words are wrong, yes. 16 MR BERESFORD: Well, it's the location we're talking about? 17 A. It's the location. 18 Q. So your recommendation 12 for consideration is that 19 there should be an addition to table 3 at page 3 20 page 3459, after item 9. 21 A. Yes. I think now you've pointed it out to me, it would 22 be also advisable to put it on page 3473, after 23 paragraph 21.5. 24 Q. Well, in fact you have dealt with that in your 25 consideration 13.</p>	<p style="text-align: right;">Page 136</p> <p>1 A. Yes. 2 Q. I just wanted to ask you, as far as positioning it above 3 the waterline, how would that assist in the present 4 case? 5 A. In the case of Lamma IV? 6 Q. Yes. 7 A. It depends how high above the waterline, of course, it 8 had been located. But if it had been above the main 9 deck, then the batteries would not have been swamped. 10 But of course we don't know that the batteries were 11 swamped immediately on Lamma IV. 12 Q. They would only not have been swamped if they had been 13 positioned in the bow, wouldn't they? 14 THE CHAIRMAN: I think what you mean by that is whether they 15 carried on functioning. 16 A. Whether they carried on functioning; whether they were 17 filled with water, which would stop them working. 18 MR BERESFORD: Even if they had been positioned above the 19 waterline, unless they were in the bow, because Lamma IV 20 stank stern-first -- 21 A. But they seemed to have continued to operate for some 22 period of time, even though the vessel was partly 23 underwater. 24 Q. That may be less due to the fact that they were above 25 the waterline. In fact, they weren't; they were in the</p>

Page 137	Page 139
<p>1 engine room. 2 A. On the floor of the engine room, so a long way down. 3 Q. Yes. But perhaps they were in sealed boxes; I don't 4 know. 5 A. They were in fibreglass boxes. I'm not 100 per cent 6 certain that the watertight integrity of those boxes was 7 maintained, because they were very close to the damage 8 on the vessel and it would be rather surprising if they 9 were not damaged, particularly the vent up through the 10 deck. But I have no evidence one way or the other, 11 because when I saw the vessel, it had been tidied up and 12 a lot of the debris taken away. 13 Q. But my question is, how does it assist in the present 14 case -- on the facts of the present case, how would it 15 have assisted to have had the source of the emergency 16 power supply above the waterline? 17 A. Well, my belief is in the present case, if they'd been 18 above the waterline they would have continued operating 19 until such time as the vessel sank. 20 THE CHAIRMAN: And the water reached where they were? 21 A. Yes. 22 MR BERESFORD: Yes. Well, if they were in the stern above 23 the waterline, that would have been immediately. 24 THE CHAIRMAN: I think we've got the point, Mr Beresford. 25 MR BERESFORD: I don't wish to test the Commission's</p>	<p>1 You refer to the current requirement, which is in 2 the code of practice at page 3473, section 21. We've 3 referred to that already. 4 Then consideration 13, which we've already 5 discussed, you suggest adding a new paragraph 6 after 21.5: 7 "The emergency source of power shall not be located 8 below the deepest load waterline." 9 And I think we've agreed you've suggested adding 10 "for the machinery space", or "in the machine space"? 11 A. Yes. Probably better to say "in the same space as the 12 source of electrical power", or "normal source of 13 electrical power". 14 THE CHAIRMAN: Is there anything in Australian or 15 UK legislation about the location of emergency sources 16 of power, the batteries that will provide emergency 17 power? 18 A. I can forward a copy of the documents to you, 19 Mr Chairman. 20 THE CHAIRMAN: Thank you. 21 MR BERESFORD: Then we come on to your next issue, headed 22 "Damage stability", issue (vi). You note that there are 23 references in annex F to the expression "margin line", 24 but there is no definition of that term "margin line" 25 either within the code of practice or Cap 548 or</p>
Page 138	Page 140
<p>1 patience, but what I want to ask is whether it might be 2 an alternative to place them in waterproof boxes vented 3 to the deck in, say, the crew space or the void further 4 forward, but still below the waterline? 5 A. I understand. My problem with a waterproof box, 6 Mr Beresford, is that they may be waterproof at the time 7 of construction and at the time of survey, but are they 8 maintained watertight? Batteries are an item that needs 9 constant maintenance and that requires a crew to make 10 sure that at all times they are put back in the way 11 which they were originally, which I think is asking for 12 potential for disaster, anyway. 13 THE CHAIRMAN: Were these batteries marine deep-cycle 14 batteries? 15 A. My understanding is that's the case, yes. 16 THE CHAIRMAN: So, sealed? 17 A. Sealed batteries, yes. Sealed but -- 18 MR BERESFORD: That explained the ability to carry on 19 functioning for some time after submersion? 20 A. Possibly, yes. 21 Q. Then in paragraph A-28, you deal with this specifically. 22 You say: 23 "The source of the emergency electrical power should 24 be located above the deepest load waterline, to minimise 25 swamping in case of flooding of the engine room."</p>	<p>1 Cap 548G. And you've proposed that a definition be 2 added to the code of practice -- 3 THE CHAIRMAN: Before we get to that, could I see the 4 reference to "margin line" in annex F? Which page is 5 that? 6 MR BERESFORD: The first one is page 3544, Mr Chairman. 7 THE CHAIRMAN: Thank you. 8 MR BERESFORD: We see under part 2, paragraph (3)(d): 9 "no partial subdivision above margin line is 10 provided ..." 11 And page 3546, paragraph (9)(b): 12 "in no case should the margin line be submerged in 13 the intermediate stages or final stage of flooding." 14 The Commission will recall that that (9)(b) is 15 a similar condition to that which we discussed in the 16 course of taking evidence in the 1994 appendix. 17 The cross-reference is the fax dated 1 August 1994 18 at marine bundle 8, page 2081. The Commission will 19 perhaps recall my questioning a number of surveyors 20 about the requirement at page 2085, the twin requirement 21 "at the final stage of flooding the margin line shall 22 not be submerged", alongside the requirement for 23 "a positive residual metacentric height of at least 24 50 mm". 25 THE CHAIRMAN: Was "margin line" defined here?</p>

<p style="text-align: right;">Page 141</p> <p>1 MR BERESFORD: It was defined, as I recall -- I have to 2 check, but I think it was defined as either 3 inches 3 or -- 4 THE CHAIRMAN: We know what it is, but was it defined as 5 such? We're told it was 3 inches and was converted from 6 the imperial to metric. 7 Is that your understanding? 8 A. It is defined in -- 348, was it? 9 MR SHIEH: I have to dig it up. 10 THE CHAIRMAN: So there is a definition of "margin line"? 11 MR BERESFORD: Mr Chairman, my learned leader refers to 12 a statute but it has to be borne in mind that no statute 13 was applicable to local vessels. 14 THE CHAIRMAN: Yes. 15 MR BERESFORD: What they were doing was adopting a sketch 16 applicable to ocean-going vessels and using it for 17 guidance. 18 THE CHAIRMAN: Thereby adopting, for guidance, as you say, 19 that provision? 20 MR BERESFORD: Yes. And the provision is reflected in 21 Cap 369AM, which is at legislation bundle tab 11. Yes, 22 "margin line" is defined as meaning: 23 "... a line drawn at least 76 millimetres below the 24 upper surface of the bulkhead deck at the side of the 25 ship".</p>	<p style="text-align: right;">Page 143</p> <p>1 A. Correct. 2 MR BERESFORD: That's because we can calculate it with 3 computers rather than by old manual methods; is that 4 right? 5 A. It used to be a terrible calculation to do, taking many, 6 many hours. Now you can do it in probably 10 seconds or 7 something like that. Because computers allow you to do 8 a lot of iterative routines, the method of doing it has 9 changed considerably. 10 Q. So it's sufficient, in your view, for the condition of 11 the vessel after damage to be stated to be that there 12 should be a positive residual GM of at least 50 mm? 13 A. Yes, I would say so. My difficulty is if this is left 14 in, then it would actually prevent you from using many 15 of the computer methods in use today. 16 Q. Yes, I see. 17 The next section is section (vii), headed 18 "Watertight subdivision". 19 Mr Chairman, this is quite a substantial section and 20 it's perhaps one of the most important parts of this 21 report, so if that would be a convenient moment to take 22 a break? 23 THE CHAIRMAN: Yes. We'll certainly take an afternoon 24 break. We'll take a break for 15 minutes. 25 (3.59 pm)</p>
<p style="text-align: right;">Page 142</p> <p>1 In fact, that's referred to by Dr Armstrong in his 2 consideration number 14, because his proposal is that 3 a definition be added to the code of practice 4 "consistent with SOLAS (or as in Cap 369AM)." 5 Is that right, Dr Armstrong? 6 A. It's not quite consistent with Cap 369AM, because I've 7 suggested 75 mm. I believe Cap 369AM says 76 mm. But 8 it is consistent with SOLAS. 9 Q. Which is consistent with SOLAS? 10 A. 75. It used to be 3 inches, which was 76. But SOLAS is 11 now 75. 12 Q. These issues are in the nature of tidying up the code of 13 practice, and in fact you've set out the definition at 14 the top of page 1648 of your report. 15 A. Yes. 16 Q. This being the SOLAS definition? 17 A. Being the SOLAS definition. 18 Q. Another issue of the same nature, paragraph (9)(a) of 19 annex F, page 3546, refers to a calculation by the 20 constant displacement method. In consideration 15, you 21 suggest that this be deleted on the grounds that this is 22 obsolete. 23 A. Correct. I think there are easier ways of doing it. 24 THE CHAIRMAN: So you suggest simply deleting but not 25 deleting and adding something else?</p>	<p style="text-align: right;">Page 144</p> <p>1 (A short break) 2 (4.14 pm) 3 THE CHAIRMAN: Just give me a moment, please, Mr Beresford 4 MR BERESFORD: Certainly, Mr Chairman. 5 THE CHAIRMAN: Thank you. Yes. 6 MR BERESFORD: Dr Armstrong, we were just coming to your 7 next issue, which is "Watertight subdivision"; 8 issue (vii) in your report, at page 1648. You've 9 noticed that: 10 "At the time of construction of Lamma IV, (1995) 11 watertight subdivision was a requirement included in the 12 Instructions in force at the time, with detailed 13 legislation provided by schedule 1 of Cap 369AM." 14 As we were just discussing before the break, 15 Cap 369AM did not apply to what we now call local 16 vessels, at least by legislation, but it was adopted in 17 part as a matter of practice by the Marine Department. 18 A. Yes. Referred to in the letter you put up recently at 19 page 2081, I think. 20 Q. The letter of 1 August 1994 -- 21 A. Yes. 22 Q. -- stating: 23 "For every vessel carrying more than 100 passengers, 24 the watertight subdivision (one-compartment flooding) 25 requirements are to be complied with. (see attached</p>

<p style="text-align: right;">Page 145</p> <p>1 copies, schedules 1 and 3)." 2 Which were effectively schedules 1 and 3 of 3 Cap 369AM? 4 A. Yes. 5 Q. You've said: 6 "Damage stability requirements were given in 7 schedule 3 of Cap 369AM, but these were not mandated 8 under the Instructions in force at the time. 9 Nevertheless, the builder of Lamma IV did investigate 10 the damage stability and stated the damaged GMT value as 11 well as the watertight subdivision calculation." 12 When you say "the builder", are you referring there 13 to the damage stability calculations, the booklets 14 provided by Cheoy Lee? 15 A. Yes. 16 Q. Not the Damage Stability Booklet provided by the naval 17 architect upon completion of the vessel? 18 A. I was referring to the ones done by Cheoy Lee. 19 Q. Yes. You are aware of the one provided by 20 Naval-Consult, are you? 21 A. I am, yes. 22 Q. Miscellaneous bundle, page 111. They treated the 23 steering compartment and the tank room as one, for the 24 purposes of their calculation. 25 A. May I have a look at that? Thank you.</p>	<p style="text-align: right;">Page 147</p> <p>1 to limitation on the size of the hole in the ship. By 2 limiting the size of any internal compartment of the 3 ship and surrounding it by watertight bulkheads, 4 sufficient buoyancy can be provided by all of the 5 remaining compartments that are not damaged so that the 6 vessel continues to float. The size of each compartment 7 is usually determined by the volume necessary for the 8 waterline of the damaged craft to remain below the main 9 deck, by a nominal distance of 75 mm. The location of 10 75 mm below the deck is usually called the margin line. 11 (b) Stability of a ship is a measure of the ability 12 of the craft to return to the upright position if 13 displaced to one side by some external force, such as 14 the wind or weather or other forces such as passengers 15 crowding on one side or cargo shifting to one side. 16 Stability is only referenced to the transverse 17 direction, and usually associated with a roll or heel 18 angle. 19 (c) Damage stability refers to the ability of the 20 vessel to return to an upright position if displaced to 21 one side by an external force, when the watertight 22 integrity of the craft is breached and water has entered 23 the vessel." 24 Then you say in paragraph A-36: 25 "If sufficient water enters a vessel, then it will</p>
<p style="text-align: right;">Page 146</p> <p>1 Q. Miscellaneous bundle, page 111. 2 A. Yes. Thank you. I have seen it before. 3 Q. They start with a section on intact stability. The 4 damage stability starts at page 140. 5 At page 141, we see the steering and tank room 6 damage taken together. 7 A. (Witness nods). 8 Q. And at page 142. There's a graph at page 143, "Steering 9 &amp; Tank Room Damage". This goes on through page 146. At 10 page 147, they deal with engine room and so on. 11 A. I think you're right, Mr Beresford, to imply that my 12 wording is a little loose. Maybe it should say "the 13 designer and builder of Lamma IV did investigate the 14 damage stability". This is paragraph A-34. 15 Q. Yes. Then you say: 16 "It is necessary to explain the terms 'watertight 17 subdivision' and 'damage stability'. 18 In paragraphs (a), (b) and (c) you explain 19 watertight subdivision, stability and damage stability 20 respectively. 21 I'm just going to read those out: 22 "(a) Watertight subdivision is the process by which 23 a vessel may be prevented from foundering (sinking) 24 owing to a breach of watertight integrity (such as the 25 admission of water following a collision), and subject</p>	<p style="text-align: right;">Page 148</p> <p>1 either capsize by rolling over owing to insufficient 2 damage stability (but not necessarily sink) or it will 3 founder (sink) in the upright condition or with 4 excessive trim, owing to insufficient watertight 5 subdivision. A good example of a vessel foundering 6 owing to inadequate subdivision, but having adequate 7 damage stability is the Titanic, about which many 8 learned papers have been written on its stability and 9 watertight integrity. The Titanic sank by the stern, 10 and indeed broke in half whilst remaining 'upright' and 11 did not capsize to one side. In my opinion, the sinking 12 of Lamma IV was also a case where the craft sank but had 13 adequate damage stability, as the craft foundered by the 14 stern without rolling over and capsizing to one side." 15 You then make the point: 16 "Watertight subdivision is a quite separate item 17 from damage stability and the characteristics of one 18 cannot be easily determined from the characteristics of 19 the other." 20 A. Yes. 21 Q. You go on to illustrate this. You say: 22 "Lamma IV had excellent subdivision when constructed 23 in 1995 and had adequate damage stability. In fact the 24 subdivision was so good that subsequent calculations 25 showed that it could remain afloat without submerging</p>

Page 149	Page 151
<p>1 the margin line with any two compartments flooded, 2 (although the regulations only required one-compartment 3 standard)." 4 THE CHAIRMAN: To whose calculations are you referring 5 there? 6 A. I was referring to my own calculations, Mr Chairman. 7 THE CHAIRMAN: Thank you. 8 A. And I would just like to confirm that when I state "two 9 compartments", I was assuming there was a watertight 10 bulkhead at frame 1/2. 11 MR BERESFORD: Are those the calculations we looked at this 12 morning in relation to your third supplemental report? 13 A. Yes. 14 THE CHAIRMAN: So when you say "Lamma IV had excellent 15 subdivision when constructed", would it perhaps be more 16 accurate to say "when designed, but not constructed as 17 designed"? 18 A. With regard to the watertight bulkhead -- 19 THE CHAIRMAN: Yes. 20 A. -- yes, sir, but my aim of that sentence was really to 21 imply the weight of the vessel as it was built in 1995, 22 the original lightship weight. 23 I think also the Preliminary Damage Stability Book 24 that you referred to a few minutes ago, Mr Beresford -- 25 MR BERESFORD: Miscellaneous bundle, page 111.</p>	<p>1 Yes, the rule is very important when you're thinking of 2 the steering gear compartment being flooded, but not so 3 important when the tank room is flooded because the 4 damage is less than 0.1L in length. 5 Q. But it's just one test, isn't it? There are other 6 considerations. So one might need an after peak 7 compartment to provide buoyancy, regardless of the 0.1L 8 rule? 9 A. Correct. 10 Q. And the purpose of the 0.1L rule is to cater for the 11 possibility that a hole might be made at the bulkhead -- 12 A. Yes. 13 Q. -- of a small compartment? 14 A. Yes. I believe that's one of the requirements why the 15 forefathers, whoever they were, originally legislated 16 the idea of an aft peak bulkhead, quite separate from 17 watertight subdivision. 18 Q. Thank you. Then you go on to say: 19 "Unfortunately when the weight of the vessel was 20 increased in 1998 by the addition of solid ballast and 21 fendering and possibly some other items, amounting to 22 a weight increase of over 30%, the subdivision standard 23 was substantially reduced, allowing the margin line to 24 become submerged when the two aft compartments were 25 flooded. It was not recognised at the time that the</p>
Page 150	Page 152
<p>1 A. -- also shows two-compartment standard as being met. 2 Q. Yes. So, in other words, even if you disregard the 3 bulkhead at frame 1/2 as directed by the 0.1L rule, it 4 would still meet the two-compartment standard -- 5 A. Yes. 6 Q. -- with its original weight? 7 A. Yes. 8 THE CHAIRMAN: By that you're referring to a consideration 9 of damage condition with flooding of the steering and 10 tank room? 11 A. Yes, correct. 12 MR BERESFORD: With its original weight, if you treat the 13 steering compartment and the tank room as one, would it 14 have remained afloat with that one plus the engine room 15 flooded? 16 A. No, I don't believe so, because there was no buoyancy at 17 the after end of the vessel at all in that case. 18 Q. Does that illustrate the importance of having some 19 buoyancy at the after end of the vessel, regardless of 20 the 0.1L rule? 21 A. Yes, exactly. The 0.1L rule is just a theoretical 22 exercise, of course. It's what I was trying to say when 23 I was -- in my first report, when I was talking about 24 the 0.1L being thought of from the perspective of either 25 the tank room or from the steering gear compartment.</p>	<p>1 watertight subdivision had been compromised by the 2 addition of weight. 3 However at the same time, by adding a substantial 4 amount of weight low down in the vessel, the damage 5 stability capability increased." 6 By that you're referring to the stability reference 7 to the transverse direction? 8 A. Yes. 9 Q. You say: 10 "This example may be theoretical, because Lamma IV 11 was not required to meet a standard to survive with two 12 compartments damaged, but it does demonstrate that 13 subdivision and damage stability are not the same and 14 are not connected. Improving one does not imply 15 improving the other, and can reduce it." 16 A. Yes. 17 Q. "In the condition in which Lamma IV sank, with three 18 compartments flooded (engine room, tank room and 19 steering gear compartment), according to my calculations 20 the vessel had adequate damage stability and the proof 21 of that lies with the fact that it sank by the stern 22 without rolling over to one side." 23 A. Yes. 24 Q. So when on Day 43 Mr Wong Wing-chuen said, at page 89, 25 line 18:</p>

<p style="text-align: right;">Page 153</p> <p>1 "The stability here should also include the intact 2 stability and damage stability. The two are together as 3 one." 4 And then at line 23: 5 "As far as a naval architect is concerned, intact 6 and damage stability, they are one and the same thing. 7 If one goes wrong, the other would go wrong too." 8 You would disagree with that for the reasons that 9 you set out? 10 A. Not necessarily, Mr Beresford. Stability is the ability 11 of the vessel to come upright after being displaced to 12 one side. That same characteristic is true whether the 13 vessel is intact or damaged. So I can understand that 14 he's saying they are connected, and if one is 15 insufficient, there is a possibility the other would be 16 insufficient, but I would say I don't agree with him 17 saying if one goes wrong, the other could go wrong, 18 because they are two different criteria. They have to 19 meet two different criteria. They may be concerned with 20 the ability of the vessel to come back upright, but in 21 the damaged state, the criteria, you may recall, is that 22 it has a GM greater than 0.05. But the intact stability 23 criteria are considerably more voluminous and they're 24 a much different standard. 25 What Mr Wong has not referred to here, and I suspect</p>	<p style="text-align: right;">Page 155</p> <p>1 is incorrect. It's more a case of watertight 2 subdivision. 3 So I couldn't agree that they were the same 4 question. 5 THE CHAIRMAN: But the issue for this Commission is simply 6 the adding of the 8.25 tonnes of lead plus the other 7 unexplained 7 tonnes to the vessel's weight, which 8 resulted in the margin line being submersed in 1998. 9 That's the issue. 10 A. Correct, and in this case watertight subdivision -- I'm 11 sorry. Yes, the watertight subdivision criteria in 12 schedule 1 states that the margin line should not be 13 submersed when the vessel is upright. 14 Schedule 3, which covers damage stability, says the 15 vessel shall have a GM of at least 0.050, and the margin 16 line shall not be submersed at the side of the vessel. 17 They're two quite different criteria and two quite 18 different phenomena. In one, the boat is heeled over 19 and in the other it's upright. The damage stability on 20 Lamma IV, I believe, was adequate -- barely, but 21 adequate -- but the watertight subdivision was not. It 22 failed watertight subdivision. Under what I have seen 23 from Mr Wong's evidence, he's only concerned with damage 24 stability, and I think the damage stability of Lamma IV 25 was adequate, but barely adequate. The failure was</p>
<p style="text-align: right;">Page 154</p> <p>1 he means -- which is purely guesswork on my part, 2 I guess -- is that watertight subdivision is quite 3 different to intact stability. Is there a mention in 4 Mr Wong's evidence of watertight subdivision? 5 Q. Well, I asked him: 6 "Whereas the damage stability, which starts at 7 page 695, assumes a hole in the hull? 8 Answer: It assumes that if there is a hole in any 9 one of a single -- in only one single compartment, then 10 what will happen to its longitudinal stability and also 11 transverse stability. 12 Question: Yes. It's a very different question, 13 isn't it? 14 Answer: No. For naval architects, they are the 15 same question. Because if the inclining experiment data 16 is not accurate, it will affect both the intact 17 stability and damage stability." 18 A. Mr Wong has used the term "longitudinal stability" 19 there. I think I know what he's getting at. 20 Longitudinal stability would imply some degree of 21 watertight subdivision, but it's the wrong terminology, 22 because longitudinally it would have no propensity to 23 come back upright again. If it was slowly sinking by 24 the stern, there's no restoring force trying to bring it 25 upright. So the term "longitudinal stability" I think</p>	<p style="text-align: right;">Page 156</p> <p>1 watertight subdivision. 2 If I might add to that, Mr Chairman? A good example 3 of that is when the weight was added to Lamma IV over 4 the years, that the damage stability improved because 5 weight had been added low down in the vessel, as I say 6 in my report here. But, in fact, the watertight 7 subdivision got considerably worse. 8 Q. Yes. That's the point that you made at paragraph A-40 9 of your report? 10 A. Yes. 11 Q. You then go on to deal with the current situation at 12 paragraph A-43, and you say: 13 "The question arises whether the issues of 14 watertight subdivision and damage stability are 15 adequately covered in the current regulations and could 16 a situation happen again to a new vessel similar to that 17 of Lamma IV, where the weight increased and the 18 watertight subdivision requirements were not met, or 19 a watertight bulkhead was certified even though it was 20 not watertight. 21 Watertight subdivision is a fundamental 22 characteristic of ship design. It is calculated at 23 a very early stage and before the hull shape and layout 24 of the vessel is finalised, and sometimes it determines 25 the principal characteristics of the craft, such as</p>

Page 157	Page 159
<p>1 length or beam or depth. There is no specific 2 requirement on Cap 548G concerning the requirements of 3 watertight subdivision, nor of damage stability, except 4 for a broad requirement in section 9 that plans relating 5 to '(e) arrangements relating to watertightness ... 6 bulkheads' and '(f) stability' should be approved." 7 You then refer to the 2006 code of practice at 8 page 3447. Chapter II, section 5. Chapter II is headed 9 "Survey/Inspection, Issuance of Certificate and Plan 10 Approval"; section 5 is concerned with "Plans and Data 11 required to be submitted". 12 You say: 13 "[This] requires that estimated damage stability 14 information is submitted at an early stage, and a final 15 damage stability calculation is provided after the 16 vessel is complete." 17 So we see the estimated damage stability information 18 referred to in the table under number 5, item (A)(6), 19 "Estimated Damage Stability Information". 20 Where do we get the requirement, please, for a final 21 damage stability calculation after the vessel is 22 complete? 23 A. Number (9). 24 Q. After the inclining experiment. And both 25 cross-referenced to chapter IV, section 2?</p>	<p>1 subdivision." 2 A. Yes. 3 Q. Annex F, then, at page 3544, is titled "Damaged 4 Stability Requirements for Launches, Ferry Vessels". 5 "In part 1, Damaged Stability Requirements, there is 6 reference to the vessel being 'subdivided by bulkheads, 7 which should be watertight up to the bulkhead deck, into 8 compartments the maximum length of which should not 9 exceed the length permitted by the required freeboard 10 and intact stability as calculated in accordance with 11 parts 2 and 3 of this annex." 12 You then say: 13 "This might appear to refer to watertight 14 subdivision, but it makes little technical sense to me." 15 You give three reasons. You say: 16 "The length of a compartment cannot have any 17 relationship with a vessel freeboard, and in any case 18 there is no reference to freeboard in parts 2 or 3 of 19 the annex. Furthermore, there can be no relationship 20 between intact stability and the length of a damaged 21 compartment, as intact stability by definition refers to 22 a vessel without damage." 23 You conclude: 24 "This whole section appears to have been written by 25 someone who did not understand the concept of watertight</p>
Page 158	Page 160
<p>1 A. Yes. 2 Q. Chapter IV, section 2 is at page 3485, headed "Damage 3 Stability": 4 "Every launch and ferry vessel designed to carry 5 more than 100 passengers should meet a damaged stability 6 standard as prescribed in annex F of this Code." 7 Annex F we've already looked at in a preliminary way 8 in relation to the definitions of "margin line" and what 9 have you. I think we'll be looking at that in more 10 detail as we work our way through your report. 11 In relation to section 5 and the table we saw there, 12 you point out that there is no reference to the location 13 of bulkheads or to watertight subdivision in that 14 section. 15 A. Correct. Although to do damage stability calculations, 16 you would need to know where the bulkheads were located. 17 Q. Yes. Then you refer to the code of practice, 18 chapter IV, titled "Freeboard and Stability". That 19 commences at page 3480. You refer to section 2, which 20 I've just read, page 3485; referring to annex F, which 21 is page 3544. 22 Before we come to that, you make this point: 23 "The remainder of [chapter IV] mainly covers intact 24 (undamaged) stability and other unrelated matters. 25 There is no reference in this chapter to watertight</p>	<p>1 subdivision." 2 A. Yes, I did. 3 Q. Then in relation to part 2, headed "Assumptions on which 4 calculations are to be based", which reads: 5 "The stability of every vessel should be determined 6 by calculation in accordance with the following 7 conditions and assumptions ..." 8 You say: 9 "It might reasonably be assumed that the first 10 sentence ... should read 'The damage stability of every 11 vessel ...' rather than 'The stability of every 12 vessel ...'" 13 You've already pointed out that paragraph (3)(d) on 14 that page refers to a margin line, but there's no 15 definition of a margin line. 16 In part 2, section (6) on page 3545, you say that 17 this refers to the extent of damage, but "there is no 18 reference to whether this is limited to one-compartment 19 damage, and without such a reference it can only be 20 assumed that the extent of the damage quoted can be 21 applied anywhere in the ship. This means that if the 22 damage occurs on a bulkhead, then there will be 23 a two-compartment standard." 24 A. Correct. 25 Q. You say:</p>



Page 161	Page 163
<p>1 "This may well be the intention of the writer, and 2 I have no difficulty with this, except to note that it 3 is a higher standard than would be applied in most other 4 countries. In Australia for example, passenger vessels 5 have to meet a one-compartment standard for passenger 6 numbers up to 399, and only above 400 is there 7 a two-compartment standard." 8 A. Yes. 9 Q. Do you know what the situation is in the UK? 10 A. I do not, Mr Beresford, no. 11 Q. Then part 3 on that page "commences with the words 'the 12 intact stability of the vessel should be deemed to be 13 sufficient if ... after the assumed damage ...', which 14 is difficult to understand because after damage there is 15 no relevance of intact stability. I suggest that the 16 word 'intact' should be replaced by 'damaged'. 17 A. It was the only logical interpretation I could put 18 on it. 19 Q. Then you go on to comment: 20 "The whole of annex F gives the impression that 21 individual phrases have been borrowed from various IMO 22 publications and previous Hong Kong regulations without 23 proper consideration of the whole meaning." 24 A. Yes. 25 Q. "In summary, in annex F there is no clearly defined</p>	<p>1 to consider at further length? 2 A. I think it could be quite a simple and easily understood 3 section, unlike its predecessor, which was difficult 4 even for me. And I don't think it's difficult to write. 5 The main difficulty might be more in your area of 6 getting it accepted into legislation. 7 Q. But can you give us an idea of the outcomes that you 8 consider need to be achieved by watertight subdivision? 9 A. By all means. Clearly state what the criteria are; that 10 is, the margin line, fundamentally the margin line; and 11 to calculate where the bulkheads are, such that if the 12 extent of flooding is -- and then give an extent of 13 flooding -- which could be the same as already contained 14 in annex F and probably should be, because it's the same 15 as SOLAS. And then quote where the damage occurs, which 16 I would suggest would be one-compartment standard. And 17 then a simple phrase saying "In case of damage to any 18 one compartment, the margin line should not be 19 submerged". I think it's really quite simple. 20 Q. Yes. 21 A. How that is done does not need to be defined; it can be 22 done by a number of different softwares which are 23 readily available. 24 Q. When you say "calculate where the bulkheads are", is 25 that where you would include instructions such as the</p>
Page 162	Page 164
<p>1 requirement for watertight subdivision, no defined 2 criteria against which to judge the adequacy of 3 watertight subdivision, and no guidance on the 4 procedures to be adopted to calculate it." 5 A. Yes. 6 Q. You say: 7 "There is damage stability criteria but no clear 8 definition of the standard of the assumed damage." 9 A. Correct. 10 Q. And you make this point: 11 "I am unable to judge whether the Chinese version is 12 correctly written and that the English version might 13 have been poorly translated." 14 So your consideration 16 is: 15 "That the whole of annex F is carefully rewritten. 16 It should not contain the complicated formulations 17 contained in schedule 1 of Cap 369AM, originally copied 18 from 1974 SOLAS (and SOLAS has since been rewritten and 19 does not contain these same calculations any more)." 20 A. Correct. 21 Q. "Modern computer software has made the calculation of 22 watertight subdivision a simple process. What is needed 23 in annex F is a concise summary of the outcomes to be 24 achieved by watertight subdivision." 25 I take it that that's something that you would want</p>	<p>1 0.1L rule? 2 A. I would not refer to the 0.1L rule, other than as 3 a footnote. I think the Australian regulation is quite 4 good. It basically shows a diagram with a bulkhead 5 which is smaller -- a compartment that's less than 0.1L, 6 and it has a damage overlaid -- a big red blob overlaid 7 over it and says, "In this case, the bulkhead is 8 a non-conforming bulkhead", or uses some such 9 terminology, indicating the bulkhead is not assumed to 10 be watertight in that location. 11 Q. But would you make it clear or not that where you have 12 such a non-conforming bulkhead or a bulkhead which is 13 assumed not to be watertight, that is not to affect any 14 other requirement for a watertight bulkhead in that 15 position? 16 A. Yes. Thank you. That will be essential. 17 Q. Moving on to your next section, the next issue, issue 18 (viii), "Seats and seat attachment". At paragraph A-57, 19 you say: 20 "Seats were poorly attached to the deck of composite 21 sandwich construction on Lamma IV, and became loose over 22 time." 23 At A-58 you identify the current requirements in the 24 code of practice, at page 3490. Paragraph 3.5: 25 "The form, design and attachments to the deck of</p>

Page 165	Page 167
<p>1 passenger seats should be adequate for the intended 2 service." 3 You say: 4 "This is reflected in the operating licence and the 5 certification on installation suitable for 'combined 6 coxswain' operation of a class I vessel ..." 7 THE CHAIRMAN: Remind me, if you would, Mr Beresford, of the 8 provision that obtained when Lamma IV was built. 9 MR BERESFORD: Yes, Mr Chairman. 10 THE CHAIRMAN: A similar bland description, was it not? 11 MR BERESFORD: It was very similar. It was: 12 "... all seats are properly secured in position ..." 13 That was marine bundle 2, page 384. 14 THE CHAIRMAN: Is that the Blue Book provision? 15 MR BERESFORD: No, that's the certificate of survey. The 16 certificate of survey was defined in its form under the 17 Shipping and Port Control Ordinance (1978) at that time. 18 THE CHAIRMAN: Sorry, which is the provision that deals with 19 seats? It's on the screen. 20 MR BERESFORD: It's item (9). 21 THE CHAIRMAN: "... all seats are properly secured in 22 position ..." 23 MR BERESFORD: Yes. 24 THE CHAIRMAN: But was there not a provision in the Blue 25 Book?</p>	<p>1 the 1995 Instructions at page 1835, which is 2 chapter III, paragraph 4.1: 3 "Where seats are provided for passengers, their 4 form, design and attachments to the deck should be 5 adequate for the intended service." 6 THE CHAIRMAN: Yes. Thank you. 7 MR BERESFORD: Just for your note, Mr Chairman, 8 Mr Commissioner, the reference in Dr Armstrong's first 9 report to these provisions is at page 422 of expert 10 bundle 1. 11 THE CHAIRMAN: Thank you. 12 MR BERESFORD: So we see the 1995 language has come in to 13 the code of practice, "adequate for the intended 14 service". 15 Dr Armstrong, you point out: 16 "This is reflected in the operating licence and the 17 certification on installation ..." 18 And you've given us a reference there: page 3627, 19 which is an annex to the code of practice. 20 We see at paragraph 1(b) -- this is described as: 21 "Determination of maximum number of persons to be 22 carried and/or Survey Certification on installation 23 suitable for 'combined coxswain' operation of a class I 24 or II vessel." 25 At 1(b) it says:</p>
Page 166	Page 168
<p>1 MR BERESFORD: No, I don't believe there was? 2 A. I believe so. 3 MR MOK: Page 1773. 4 MR BERESFORD: I'm grateful to my learned friend Mr McGowan. 5 Chapter 3, 4.1: 6 "Where seats are provided for passengers ..." 7 THE CHAIRMAN: Page? 8 MR BERESFORD: Let me just turn it up, Mr Chairman. 9 THE CHAIRMAN: Yes. As Mr Mok pointed out, paragraph 26 10 provides: 11 "Seats should always be properly secured." 12 MR BERESFORD: Yes. I'm sorry to have taken some time 13 coming to that. I was just tracking it through. 14 Mr Chairman, you're absolutely right, it's 15 paragraph 26 on page 1773, in the Blue Book. That 16 language, "properly secured", reflects the certificate 17 of survey. 18 THE CHAIRMAN: Remind me of the reference for that? 19 MR BERESFORD: Page 1773, marine bundle 8. 20 THE CHAIRMAN: No, that's Blue Book. What is the 21 certificate of survey? 22 MR BERESFORD: The certificate of survey is marine bundle 2, 23 page 384. 24 THE CHAIRMAN: Thank you. 25 MR BERESFORD: We can see the current language reflected in</p>	<p>1 "The form, design and attachments to the deck of 2 passenger seats should be adequate for the intended 3 service. The seating construction ..." 4 THE CHAIRMAN: Yes. Thank you. 5 MR BERESFORD: You point out that it's not clear what is 6 an "adequate attachment". 7 A. Yes. 8 Q. So at consideration 17, you have suggested: 9 "... some realistic value against which the 10 attachment of seats might be judged [should be set]. 11 This value will need to allow for the constant changes 12 in loads owing to operation of the vessel in waves and 13 causing the attachments to work loose over time." 14 You have suggested a methodology at appendix IV to 15 the report, which is page 1681. You say: 16 "... [this] is based on the assumption that 17 an adequate attachment is one that remains intact during 18 operation of the vessel during its normal operation in 19 its intended service for the entire period of time 20 between annual surveys." 21 Turning to appendix IV at page -- 22 THE CHAIRMAN: Before we get there, do the Australians have 23 legislation that condescends to this detail, as to 24 a value to be given in respect of the attachments of 25 seats on this kind of vessel?</p>

Page 169	Page 171
<p>1 A. No, Mr Chairman, they do not. 2 THE CHAIRMAN: Is there such a requirement in the United 3 Kingdom? 4 A. I do not know. 5 THE CHAIRMAN: Not federally or in any of the states in 6 Australia do they condescend to this kind of 7 particularity? 8 A. I will have to find out for you, Mr Chairman. 9 THE CHAIRMAN: So, annex IV? 10 MR BERESFORD: If I can just follow on from that, 11 Mr Chairman. 12 Dr Armstrong, there are provisions of this nature, 13 are there not, in the High-Speed Code? 14 A. In the High-Speed Craft Code, there are indeed. I think 15 one of the difficulties there is in Australia, 16 Mr Chairman, is that we're talking here about 17 foam-sandwich construction decks, and most passenger 18 vessels would not allow, in Australia, foam-sandwich 19 construction because of the fire risk. So it's somewhat 20 unusual for seats to be fitted in this sort of 21 situation. Which is why I don't know the answer to the 22 question. 23 THE CHAIRMAN: Yes. What about New Zealand; do you know the 24 position there? 25 A. I do not.</p>	<p>1 A. Basically a measure of the acceleration owing to gravity 2 and equal to 9.81 metres per second squared. 3 THE CHAIRMAN: 32 feet per second; is that it? 4 A. 32.2, yes. 5 THE CHAIRMAN: Thank you. 6 A. That, of course, is not a constant figure because the 7 vessel is moving in waves. It's a variable value, and 8 the value given there is the maximum value over 9 a 5-minute period. 10 MR BERESFORD: Yes, I see. And against the comment "The 11 average seated person will start to struggle to keep 12 balance whilst holding", you've given the value as 13 "0.25 G". 14 A. Correct. 15 Q. And against the comment "Persons will fall out of seats 16 without seat belts", you've given the value as 0.45 G. 17 A. Correct. These are taken straight out of the HSC Code. 18 Q. Then you've said: 19 "It is suggested from inspection of the above table 20 that a suitable design value for an adequate attachment 21 of seats might be 0.20 G (1-in-100 occurrences)." 22 A. That's 1-in-100 waves, if you like; 1-in-100 23 oscillations of the vessel from side to side. 24 Q. You then tell us: 25 "The acceleration value of 0.2 G is the maximum</p>
Page 170	Page 172
<p>1 THE CHAIRMAN: Because it's in New Zealand that the 2 superstructure was made. 3 A. And New Zealand has quite a good reputation for building 4 GRP structures. 5 THE CHAIRMAN: Yes, it certainly does. 6 A. I can find out. 7 THE CHAIRMAN: Yes, Mr Beresford. 8 MR BERESFORD: Thank you, Mr Chairman. 9 Appendix IV is headed "Potential seat foundation 10 design criteria". 11 You say: 12 "Hoberock published values in 1977 of horizontal 13 acceleration values at which passengers became 14 uncomfortable when seated. These values are given in 15 the 2000 HSC Code in annex 3 and reproduced in the 16 following table." 17 We can see the table on the screen. The comment 18 says: 19 "A seated person will start to hold on to keep 20 balance: Peak value horizontal acceleration: 0.15 21 [grams]." 22 Is that right? 23 A. 0.15 G, the acceleration of gravity. 24 Q. I'm sorry. Go on, please. You were going to explain 25 the measurement "G"?</p>	<p>1 value recorded in any 5-minute period. If it is assumed 2 that the average wave period in the waters of Hong Kong 3 is 3 seconds, then there are 100 wave encounters on 4 average in every 5-minute period, ignoring the effect of 5 ship speed and heading relative to the waves. If 6 a vessel is to operate for 4 hours every day, for 7 360 days a year, then there will be 17,280 periods of 8 5-minutes duration in between annual surveys, or 9 1,728,000 wave encounters." 10 Without going through all the details of the 11 calculation, which, if this page can be scrolled down, 12 we can see on the screen, you calculate that the most 13 probable peak value of acceleration owing to waves in 14 one year of operation would be -- is that 3 metres 15 per -- 16 A. 3 metres per second squared. 17 Q. 3 metres per second squared. 18 "If [you apply] that to the standard mass of 19 a passenger (75 kg) applied at a distance above the deck 20 of 0.9 metres", as amended. 21 A. Correct. 22 Q. "... then the seat attachment should be designed for 23 a maximum moment of 195 newton metres." 24 A. Correct. 25 Q. "This attachment of the seat [therefore] may be checked</p>

Page 173	Page 175
<p>1 by a physical test on the seat by applying a moment of 2 195 newton metres to the seat, which represents the 3 highest anticipated load during normal operation in 4 12 months." 5 A. To understand perhaps in more everyday language, that's 6 equivalent to about 19 kg at 1 metre above the deck. 7 Q. So how is that normally done in practice? We heard from 8 the ship surveyors that they would sort of go along and 9 wobble the seat, if they could. 10 A. Well, 19 kg is a rather light bag that you're taking it 11 you onto an airline. So that's the sort of mass 12 involved, the force involved. It's not particularly 13 large. 14 Q. How do they test it on high-speed craft, for example, 15 subject to the High-Speed Craft Code? 16 A. Oh, that's very detailed. You have to apply 17 a considerable number of different loadings and 18 accelerations at different locations on the seat. 19 Q. But do they do it in situ, on the vessel? 20 A. In a laboratory. 21 Q. It's done in a laboratory? 22 A. Mm. In a testing facility, anyway. 23 I'm not suggesting they should test every seat, 24 Mr Beresford. I just think one typical or maybe one on 25 each deck or something like that could be very easily</p>	<p>1 form. The requirements would say something like "apply 2 a force of 20 kg horizontally to the seat", which is not 3 dissimilar to what was done by Dr Cheng, I think, the 4 forensic scientist, on his tests on board Lamma IV. 5 THE CHAIRMAN: Yes. 6 MR BERESFORD: Thank you. 7 So, leaving seats and moving on to "Structural 8 issues", issue (ix) in your report. 9 There are two structural issues you refer to, 10 plating thickness and corrosion. Dealing first with 11 plating thickness. The issue you've identified is: 12 "Lamma IV was manufactured with hull plating of less 13 than the thicknesses shown on the approved drawings." 14 The current requirement you've identified in the 15 code of practice in chapter III, part 1, page 3461. 16 Is what you're referring to, Dr Armstrong, the first 17 part of part 1, item (1): 18 "Except as otherwise specified, every vessel should 19 be designed and built to the requirements of rules and 20 regulations of a classification society as listed at 21 annex A ..." 22 A. Yes, correct. 23 Q. "... having regard [to] the size, construction material, 24 and operational services of the vessel." 25 So you point out:</p>
Page 174	Page 176
<p>1 tested just by applying of horizontal force. 2 Q. But you're talking about an in situ test rather than 3 a laboratory test? 4 A. I am talking about a practical test. 5 Q. Yes. 6 A. Because you couldn't really do this in a laboratory. 7 You'd need to recreate the exact same deck construction, 8 and that's, I don't believe, necessary. Although the 9 disadvantage here is that the vessel would have been 10 built before you did the testing, and if it failed, then 11 the shipyard would have to think of some way of getting 12 around that problem, which may include through-bolting 13 or -- it's not impossible. 14 Q. But I suppose the long and the short of it is that this 15 detailed mathematical calculation gives some indication 16 of the force that needs to be applied in order properly 17 to test the seat attachment? 18 A. That was the intention of it. The statistical 19 mathematics are quite well proven and well understood. 20 There's nothing that a mathematician would not 21 understand in the calculation. 22 Q. No, but my question is, how is your practical naval 23 surveyor or ship surveyor going to apply this to a seat 24 on a boat? 25 A. Yes. The requirements would not be in this sort of</p>	<p>1 "... structure is designed in accordance with the 2 requirements of a classification society. It further 3 states that the classification society rules and 4 regulations are to be complied with in their entirety." 5 A. I think that's an important sentence. 6 Q. Yes. And it's the second sentence which I didn't read 7 out. Then you say: 8 "However it is not clear to me from reading the code 9 of practice whether the minimum scantlings shown on the 10 drawings might be liberally interpreted by the person 11 surveying the ship, as detailed in paragraph A-14 of 12 this report." 13 In paragraph A-14, of course, you use the case of 14 the changes to Lamma IV as an example that if the 15 approved drawing shows 5 mm plating and the surveyor 16 accepts overall plate at 4.83 mm, then it's unclear how 17 that should be recorded in the as-built plans. 18 A. It's potentially worse under the current regulations, 19 because it may be just quite a different company or 20 organisation doing the plan approval to that one doing 21 the survey. They're not even in the same building. As 22 I understand the current system. 23 Q. Well, you've got drawings specifying 5 mm, 5 mm plate. 24 You've got a letter saying "We've received 4.83 mm 25 plate, which we're intending to use." As I understand</p>

<p style="text-align: right;">Page 177</p> <p>1 you, you're saying that the code of practice does not 2 offer any solution as to how to deal with that problem. 3 A. I don't think it does offer any solutions. It does 4 permit different authorities to have different 5 functions, and if one of those authorities is approving 6 5 and then the question comes to the surveying 7 authority, "We've used this plate, it's only 4.83, is 8 that okay?", how does the message get from the one 9 authority to the other? How does the person doing the 10 plan approval know that it's being built out of 11 different-thickness plate? I accept it's only a small 12 amount, but what are the tolerances of the particular 13 classification society? We've seen that they vary, and 14 they vary with different years of publication. 15 Q. But if the vessel is designed and built to the rules and 16 regulations of one particular classification society, 17 the fact that another classification society is doing 18 the survey shouldn't make any difference to that, should 19 it? They would have to look at the first classification 20 society's rules, wouldn't they? 21 A. I'm not sure it's as simple as that, because I don't 22 think the classification societies have the same 23 philosophy behind how they design their scantlings. The 24 formulations, for example, can be different between the 25 societies.</p>	<p style="text-align: right;">Page 179</p> <p>1 Q. It is that further clarification is needed, and some 2 feedback on how this has worked over the past six years 3 since the code of practice has been in operation. 4 A. Yes. 5 Q. The second structural issue is "Corrosion", and you've 6 noted the issue as being: 7 "Disagreement on the corrosion properties of 8 different materials." 9 You've identified the current requirements as -- you 10 say: 11 "Corrosion is extensively covered for steel items in 12 the code of practice annex M. Corrosion is also covered 13 by the rules and regulations of the classification 14 society" -- we've seen some examples of those in the 15 course of the hearing -- "and is generally embedded 16 within their formulations for scantlings." 17 You've proposed for consideration at 18: 18 "That reference is made in annex M that the 19 information relates only to steel material." 20 A. Yes. 21 Q. We then come to issue (x), "Watertight bulkheads and 22 access openings", and you identify the issue as: 23 "Access openings fitted in watertight bulkheads." 24 You identify the current requirements as being the 25 hull construction requirements in the code of practice,</p>
<p style="text-align: right;">Page 178</p> <p>1 Q. That may be true, but if one is surveying a vessel 2 designed to another's specifications, they couldn't just 3 superimpose their own rules, could they? 4 A. I don't know. But I think the possibility could arise, 5 and this is why I wanted to alert the Commission to this 6 problem, as I saw it. The survey authority can be 7 a private person appointed by the director. Would 8 a private individual interact with a classification 9 society in such a way? There's nothing to require him 10 to do so in the regulations. 11 Q. Is there not, Dr Armstrong? If the code of practice 12 requires the vessel to be designed and built to the 13 requirements of rules and regulations of a particular 14 classification society, is not any subsequent surveyor, 15 regardless of which society he may belong to, or whether 16 he's private or public or whatever -- is he not bound by 17 that? I'm just wondering if this is a real problem. 18 A. It may not be a real problem. I've merely raised the 19 issue and drawn it to the attention of the Commission. 20 I think it could be a problem. It's part of 21 understanding better how the current system is actually 22 operating practically. 23 Q. And that leads us to your consideration number 2, 24 because you refer us back to that. 25 A. Yes.</p>	<p style="text-align: right;">Page 180</p> <p>1 chapter IIIA, part 2, section 2, at page 3461. 2 That section we've already looked at, in relation to 3 your comments on the aft peak bulkhead. We'll just look 4 at it again generally in relation to watertight 5 bulkheads. Because, unlike the Blue Book, this makes 6 clear -- it says: 7 "Every launch or ferry vessel should be fitted with 8 the following watertight bulkheads ..." 9 A. Yes. 10 Q. "(a) collision bulkhead", which we've seen. 11 "(b) fore and after bulkhead of main engine space". 12 (c) deal with compartments exceeding 2/5ths of the 13 length. 14 "(d) if the vessel exceeds 24 metres in length, 15 an aft peak bulkhead unless the engine room is situated 16 at aft end of the vessel." 17 A. Yes. 18 Q. So quite plainly, under the code of practice, an aft 19 peak bulkhead must be watertight and couldn't be the aft 20 engine room bulkhead. 21 A. Unless the engine room is at the after end of the 22 vessel, I guess. 23 Q. Unless the engine room is at the after end, yes. 24 In addition, you point out that section 2.5 says 25 bulkheads should be of watertight construction, and 2.6</p>

Page 181	Page 183
<p>1 provides: 2 "Access openings fitted in watertight bulkheads 3 should be equipped with effective watertight closing 4 appliances." 5 A. Correct. 6 Q. So I just pose hypothetically that if Lamma IV had been 7 constructed under the code of practice, the bulkhead 8 between the steering compartment and the tank room would 9 have been required to be watertight, unambiguously so? 10 A. Yes. 11 Q. And even though it had an access opening, it would 12 unambiguously have been required to have been fitted 13 with an effective watertight closing appliance? 14 A. Yes, that's how I read it. 15 Q. You make the comment that under paragraph 2.1(d), which 16 says "'an aft peak bulkhead unless the engine room is 17 situated at aft end of the vessel' clearly indicates 18 that the aft peak bulkhead is expected to be located in 19 the after part of the vessel." 20 A. Yes. 21 Q. One might think that that was indicated by the words 22 "aft" and "peak" as well. 23 A. It has been queried, Mr Beresford. 24 Q. So you suggest for consideration at number 19: 25 "Current requirements appear to cover the need for</p>	<p>1 A. The words used to be "This door to be kept closed at sea 2 at all times", and maybe that would be better than "and 3 secured". 4 THE CHAIRMAN: You're contrasting here a hinged watertight 5 door with a sliding one, are you? 6 A. No, I'm not suggesting sliding doors at all. Sliding 7 doors are wonderful things, Mr Chairman, and they can 8 operate with the vessel heeled over to one side, and 9 they can operate with a force of water behind the door, 10 trying to open a hinged door. But they are very 11 cumbersome and very expensive and take up a lot of room. 12 So I think on a local craft, it's probably a bit of 13 overkill. 14 Australia, I know, allows hinged watertight doors in 15 some situations, one of which is partially smooth 16 waters, which I believe covers most of Hong Kong waters. 17 So the requirements you see here are actually copied 18 from the Australian regulations for hinged watertight 19 doors. 20 Q. In your last sentence in that subparagraph (a), where 21 you're talking about the direction in which doors should 22 open, you say you make an exception for doors to the aft 23 peak and other high-flooding-risk spaces. So does that 24 imply that in your opinion, the aft peak is 25 a high-flooding-risk space?</p>
Page 182	Page 184
<p>1 watertight doors, both at the design approval stage, and 2 at the survey stage." 3 A. Yes. 4 Q. But you nevertheless go on to make two suggestions. You 5 say: 6 "(a) It is suggested that hinged watertight doors 7 have a maximum permitted width of 800 millimetres with 8 a sill no more than 2.5 m below the freeboard deck and 9 marked on each side of the boundary in bold and 10 permanent lettering "This door to be kept closed and 11 secured". Only one hinged watertight door should be 12 permitted within any hull (ie maximum of one in each 13 hull of a catamaran). Hinged watertight doors should be 14 arranged to generally open forward (or outboard) except 15 doors to the aft peak and other high flooding risk 16 spaces should open into the space." 17 A. Correct, Mr Beresford. I have one small suggestion to 18 amend this though. 19 Q. Yes? 20 A. As you were reading it out, I suddenly became concerned 21 about the word "secured" and how that might be 22 translated. It is not intended to indicate it should be 23 locked, because that could be disastrous. So maybe we 24 should lose the words "and secured". 25 Q. Yes, I see.</p>	<p>1 A. Certainly, yes. 2 Q. Could you just clarify why that is, please? 3 A. This is because there are hull penetrations often in 4 an aft peak space, such as a propeller shaft or a rudder 5 shaft. 6 Q. Yes. 7 A. And being penetrations, there is always the risk of 8 leakage. In the case of rudders and propellers, there's 9 also the risk of them hitting the bottom and being 10 forced up into the hull, which is an obvious flooding 11 risk. And the purpose of hinging into that direction is 12 of course such that any water coming into the space 13 would force the door even tighter on to its coaming. 14 Q. Might this be the reason for requiring an aft peak 15 bulkhead, watertight bulkhead, in every launch or ferry 16 vessel exceeding 24 metres in length? 17 A. I believe that is one of the reasons for that, yes. 18 Q. And might it have been a reason for requiring an aft 19 peak bulkhead in the Blue Book as well? 20 A. It could well have been. 21 Q. Then at (b), you say: 22 "It is suggested that a hinged watertight door 23 should be fitted with catches and other quick-action 24 closing devices capable of being operated from each side 25 of the bulkhead in which the door is fitted. The speed</p>

Page 185	1 of complete closure of the door (including securing) 2 should not exceed 90 seconds with the vessel in the 3 upright position. All hinged watertight doors should be 4 provided with a means of indication at the operating 5 compartment (eg the wheelhouse) to show whether the door 6 is open or closed. An audible alarm should be provided 7 at each side of the opening." 8 A. I did suggest that, yes. 9 MR BERESFORD: Mr Chairman, I note the time. 10 THE CHAIRMAN: Yes. Just looking ahead at the next item, 11 the drawing as-fitted, or "Built in accordance with the 12 approved plans", remind me, if you would, as to the 13 evidence we've received from Hongkong Electric as to the 14 provision of any drawing or any -- is it a letter that 15 says it was built as-fitted? 16 Mr McGowan? 17 MR McGOWAN: It was a very long time ago, Mr Chairman. 18 I can't remember. We'll try and find that out as 19 quickly as possible. 20 THE CHAIRMAN: Do you remember, Mr Beresford? 21 MR BERESFORD: We have been provided with as-fitted drawings 22 and there was a requirement in the contract that such 23 drawings be provided. 24 THE CHAIRMAN: I'm aware of the contractual requirement. 25 MR McGOWAN: My recollection was there was a letter covering	Page 187	1 Dr Armstrong's day for tomorrow? 2 MR SHIEH: Well, subject to completing Professor Ho's 3 evidence really on the electrical wiring, we interpose 4 Professor Ho and then continue with Dr Armstrong. 5 THE CHAIRMAN: Very well. Has any counsel got any 6 submission on that suggestion? I see people shaking 7 their heads. 8 MR McGOWAN: It sounds very sensible to me. 9 THE CHAIRMAN: Dr Armstrong, if you can accommodate us, 10 that's what we'll do. We'll take Professor Ho, who has 11 other commitments on Friday. If you would be on 12 standby, as it were, we'll come back to you when we've 13 dealt with Professor Ho. 14 A. Yes, of course, Mr Chairman. 15 THE CHAIRMAN: Thank you for accommodating us. 16 MR McGOWAN: Perhaps I can just ask one thing. You'll 17 recollect perhaps when Dr Armstrong was giving evidence 18 in January, at the end of January, that Mr Grossman gave 19 him a diagram showing various authorities who dealt with 20 the Lamma IV at stages of design and build, and asked 21 him to comment on that. It was agreed that would be 22 done as part of the second part of this proceeding. 23 I just wondered whether perhaps -- 24 THE CHAIRMAN: Is this the document to which you referred 25 recently?
Page 186	1 some documents. 2 THE CHAIRMAN: Very well. But Mr Beresford thinks there was 3 a drawing. 4 MR BERESFORD: There were drawings, yes. 5 MR McGOWAN: Well, the documents being drawings. There was 6 a letter which said, "Here are the following", or 7 something like that. I'll try and refresh my memory for 8 tomorrow morning. 9 THE CHAIRMAN: In anticipation perhaps that could be tracked 10 down so that we can address that tomorrow. 11 MR BERESFORD: Mr Chairman, just looking ahead to tomorrow, 12 I understand Professor Ho's report has been finalised 13 and it's proposed that he be interposed tomorrow. 14 THE CHAIRMAN: When is it proposed that it be served, first 15 of all? 16 MR SHIEH: It has literally been served as the hearing has 17 been going on in the afternoon. It has been served. 18 THE CHAIRMAN: Very well. 19 MR SHIEH: An email has gone out to all the parties, 20 attaching the report. 21 THE CHAIRMAN: Right. 22 MR SHIEH: Because Professor Ho is not available on Friday, 23 so I propose that we interpose him tomorrow. He should 24 finish comfortably within tomorrow, hopefully. 25 THE CHAIRMAN: So what are you proposing as far as	Page 188	1 MR McGOWAN: No, this was a document that had been produced 2 by our instructing solicitors which showed the various 3 people who had been involved in the approval of the 4 plans of Lamma IV. 5 THE CHAIRMAN: Yes. What was Dr Armstrong to contribute to 6 that? 7 MR McGOWAN: Well, the actual document is in the RSRB file 8 at page 1322. 9 THE CHAIRMAN: Yes. 10 MR McGOWAN: It was talked about on Day 27 at page 18. 11 THE CHAIRMAN: Ah, yes. 12 MR McGOWAN: Dr Armstrong said he'd need a bit of time to 13 think about it, and it was probably a part 2 or part 3 14 question, and it was agreed to be deferred. I just 15 mention it now so that if Dr Armstrong has time to look 16 at the question and the piece of paper tomorrow before 17 he comes to give evidence, he doesn't -- 18 THE CHAIRMAN: I see what looks like a flowchart. 19 MR McGOWAN: Yes. 20 THE CHAIRMAN: What is Dr Armstrong to do with this? 21 MR McGOWAN: Well, the question was asked of him, and I can 22 turn that up if you wish -- 23 THE CHAIRMAN: Just remind me. 24 MR McGOWAN: -- whether, given all those people were 25 involved in the approval of the design and the build, it

Page 189	Page 191
<p>1 would be understandable for Hongkong Electric as a lay 2 client to accept it without further enquiry themselves. 3 THE CHAIRMAN: Very well. 4 That's the question, Dr Armstrong. I don't think 5 that will keep you up late at night. 6 MR McGOWAN: I'm sure it won't. It's probably delaying us 7 now, Mr Chairman. 8 THE CHAIRMAN: Yes. 9 MR McGOWAN: But I just raise it so the Doctor has a chance 10 to think about it. 11 THE CHAIRMAN: Would someone provide Dr Armstrong with 12 a copy of that, and perhaps the page from the 13 transcript, so that he can be reminded of the issue. 14 MR McGOWAN: Certainly. Thank you. 15 THE CHAIRMAN: Thank you. 16 Mr Shieh, have we contacted Mr Dominic Yeung as to 17 the position of the China Classification Society? 18 MR SHIEH: Could I just take instructions. 19 An email has been sent notifying those instructing 20 Mr Yeung, I believe, but no response has yet been 21 received. 22 THE CHAIRMAN: Thank you. Perhaps in anticipation of this 23 issue arising, you could find the page reference for the 24 witness statement -- 25 MR SHIEH: Of the China Classification Society witness?</p>	<p>1 I N D E X 2 CAPTAIN NIGEL ROBERT PRYKE (on former oath) .....1 3 Examination by MR SHIEH (continued) .....1 4 Examination by MR McGOWAN .....21 5 Examination by MR MOK .....49 6 Further examination by MR SHIEH .....52 7 Questions by THE COMMISSION .....56 8 (The witness withdrew) .....57 9 DR NEVILLE ANTHONY ARMSTRONG (sworn) .....60 10 Examination by MR BERESFORD .....60 11 12 13 14 15 16 17 18 19 20 21 22 23 24 25</p>
Page 190	
<p>1 THE CHAIRMAN: Yes, that's it. No need to find it now. So 2 that we can lay our hands on it. Because one way of 3 dealing with that issue may simply be to read out that 4 statement. 5 MR SHIEH: Yes. We'll locate that and perhaps we'll deal 6 with it first thing tomorrow morning, depending on 7 whether there is a response. 8 THE CHAIRMAN: Thank you very much. There was another 9 matter about recalling a witness for cross-examination. 10 We indicated that we were not favourably disposed to 11 that application. But that's another matter that is 12 outstanding. That's all. 13 MR SHIEH: Yes. 14 THE CHAIRMAN: So we'll adjourn now until 10 o'clock 15 tomorrow. 16 (5.35 pm) 17 (The hearing adjourned until 10 am on the following day) 18 19 20 21 22 23 24 25</p>	