

Page 1	Page 3
<p>1 Friday, 8 March 2013 2 (10.00 am) 3 DR NEVILLE ANTHONY ARMSTRONG (on former oath) 4 Examination by MR MOK (continued) 5 THE CHAIRMAN: Good morning, Dr Armstrong. 6 A. Good morning. 7 THE CHAIRMAN: May I remind you that you continue to testify 8 according to your original oath. 9 A. Thank you, Mr Chairman. 10 THE CHAIRMAN: Mr Mok. 11 MR MOK: Thank you, Mr Chairman. 12 Dr Armstrong, yesterday you said you wished to have 13 a look at the provision in Cap 369AM. Can I invite you 14 to have a quick look at that. This is legislation 15 bundle 2, tab 11. If you could please turn to page 59. 16 This is part of schedule 1. Have you got that? 17 A. Yes. Thank you. 18 Q. If you look, please, at subparagraph (6) on this page, 19 which deals with "Minimum space of bulkheads". That 20 encapsulates or at least is one iteration of the 0.1L 21 rule; is that correct? 22 A. Correct. 23 Q. And it is contained in schedule 1 as part and parcel of 24 the rules which are required to be applied in 25 calculating the floodable length.</p>	<p>1 with that bulkhead and then position a bulkhead behind 2 that at some relevant distance, flood the compartment 3 that he has made, and check whether the margin line was 4 immersed. He may then adjust the position of the 5 bulkhead to suit. 6 He would then go to the next bulkhead behind that 7 and do the same thing. So he would work his way down 8 the vessel, checking whether each compartment, when 9 flooded, immersed the margin line or not. 10 When he came, in this example, to the tank room, he 11 would have a forward bulkhead which was the after end of 12 the engine room, and he would check that distance for 13 what he needed for the tank room, put the bulkhead in, 14 check that it met the margin line requirements, and 15 locate a bulkhead there. 16 Q. Locate which bulkhead? 17 A. Sorry, the after end of the tank room. 18 Q. Right. 19 A. And position that where necessary. Assuming that that 20 met the need for the margin line not to be immersed, 21 that would then be a satisfactory location for the tank 22 room. 23 He then comes to the next compartment, which is 24 loosely called the aft peak compartment or steering gear 25 compartment. But my reading of this regulation is that</p>
Page 2	Page 4
<p>1 A. Correct, yes. 2 Q. So if you go back, please, to your second supplemental 3 report at page 928 of the expert bundle, we were dealing 4 with paragraph 12 -- 5 A. Yes. 6 Q. -- where you say: 7 "A summary of the floodable length calculation for 8 margin line immersion in accordance with schedule 1, as 9 given by my spreadsheet for the vessel with a lightship 10 according to the inclining experiment ..." 11 So the question I wish to ask you is, you agree that 12 if you do do the calculation according to schedule 1, 13 that would include the 0.1L rule in paragraph 6(6)? 14 A. No, Mr Mok, I do not agree. May I explain why? 15 Q. Yes, please. 16 A. Can we go back to schedule 1, please. 17 Q. Yes. 18 A. I'm referring to paragraph (6). Maybe first I can very 19 briefly explain how the naval architect goes about 20 positioning his bulkheads. 21 THE CHAIRMAN: Please do. 22 A. It is only very brief. 23 The location of the collision bulkhead is set by 24 a formulation in the regulations at a particular 25 distance. So he would usually start at the forward end</p>	<p>1 that is irrelevant because it says: 2 "If the distance between two adjacent main 3 transverse bulkheads ..." 4 The after end of the peak compartment is not 5 a bulkhead. It is a transom. 6 I'm aware that Marine Department may not interpret 7 it that way, but that is how I interpret it. 8 Q. I see. 9 A. The aft peak bulkhead is required to be there under 10 a separate part of the legislation. 11 Q. Right. When you say a separate part of the legislation, 12 which part do you have in mind? 13 A. Thank you. I'm thinking of, in this case, 369 -- excuse 14 me, Mr Chairman. 15 THE CHAIRMAN: Take your time. 16 A. I'm thinking of 369AM, regulation 7. 17 THE CHAIRMAN: Which of the legislation bundles do we find 18 this in, Mr Mok? 19 MR MOK: It's the same tab. 20 MR BERESFORD: It's the same tab, page 8 of the regulations. 21 THE CHAIRMAN: But which bundle is it? 22 MR MOK: The same bundle. 3. 23 A. It's at the end of regulation 7. Subparagraphs (4) 24 and (5). 25 Q. Which page are you looking at?</p>

Page 5	Page 7
<p>1 A. I'm on page 8 of this document. 2 THE CHAIRMAN: Which tab is it? 3 MR MOK: Tab 11, Mr Chairman. Page 8. 4 Which regulation are you looking at? 5 A. Regulation 7(4). 6 THE CHAIRMAN: Yes. 7 A. "Every such ship shall be provided with a watertight 8 after peak bulkhead ..." 9 And then the following subsection, (5): 10 "The stern gland of every such ship shall be 11 situated in a watertight shaft tunnel ... The stern tube 12 shall be enclosed ..." 13 I think the important part there is that Lamma IV 14 was not a conventional ship, in that it had twin screws. 15 And the stern tubes of course did not go through the aft 16 peak compartment. So there needed to be some special 17 interpretation for that vessel. 18 MR MOK: In what way? 19 A. Because it could not -- 20 THE CHAIRMAN: Before you go on, I've yet to locate this 21 provision. Regulation 11? 22 MR MOK: No, it's 7(4), Mr Chairman, on page 8. 23 THE CHAIRMAN: Thank you. 24 MR MOK: Can you start again, please, Dr Armstrong. 25 A. Yes. Subparagraph (4):</p>	<p>1 Q. I have to say, Dr Armstrong, the view that you just 2 expressed, it's quite at variance with I think the 3 Marine Department's understanding of the provisions. So 4 I think it is worthwhile making this a little clearer. 5 What you are saying is that when you apply the 0.1L 6 rule in paragraph 6(6) of schedule 1, the transom should 7 not be considered as a bulkhead for the purposes of that 8 rule? Is that what you're saying? 9 A. That was my interpretation of it, Mr Mok, and I said 10 that in my very first report. 11 Q. Right. 12 A. And I was aware that the Marine Department 13 representatives disagreed with that. 14 Q. Yes. And you do agree that this is a question of 15 interpretation? 16 A. I don't agree that a bulkhead can be a transom. 17 Q. No, but it's still a question of interpretation whether 18 or not the rule in subparagraph (6) should be applied as 19 the Marine Department understands it or as you 20 understand it? It's a question of difference of 21 interpretation? 22 A. Yes, made more confusing by the fact that at the end of 23 the day, the 0.1L has its origins from the extent of 24 damage that is assumed. This comes from a statement 25 that the length of damage shall be -- and then it gives</p>
Page 6	Page 8
<p>1 "Every such ship shall be provided with a watertight 2 after peak bulkhead ..." 3 And then it goes on to give some other provisions. 4 THE CHAIRMAN: Yes. So that's the separate requirement for 5 this watertight aft peak bulkhead? 6 MR MOK: That's in relation to ocean-going vessels? 7 A. It is, and it's taken word for word from SOLAS. 8 Q. Yes. 9 A. Nevertheless, it's also in agreement with the documents 10 that you have asked me to talk to yesterday. 11 Q. The new documents? 12 A. The new documents, yes. It says: 13 "Such bulkheads shall be watertight up to the 14 bulkhead deck ..." 15 And then it allows it to be stopped if the 16 subdivision is not thereby impaired. In fact, the 17 bulkhead was taken up to the bulkhead deck. 18 There's then a requirement under subregulation (5) 19 for the stern gland of the ship to be situated in a 20 watertight shaft tunnel, and that in fact was done but 21 it wasn't located in the after peak compartment, as 22 would be normal on an ocean-going ship. So there was 23 need for some special interpretation, I would suggest. 24 Not that this regulation 7, I understand, was part of 25 the legislation that was required for local vessels.</p>	<p>1 a number of options, and includes 0.1L, whichever is the 2 least. 3 Q. Do you have in mind the paragraph in schedule 3? 4 A. In schedule 3. It's a damage stability requirement. 5 Q. Can we have a look at that too, please. 6 A. Please do. 7 Q. It's page 63. 8 A. Section (3). 9 Q. Section 1(3)(a)? 10 A. Yes, 1(3)(a). So this is the extent of damage that is 11 assumed in doing the damage stability calculations, and 12 this is where I believe the 0.1L comes from when it's 13 seen in the watertight subdivision regs. It makes sense 14 to me anyway. 15 It becomes confusing because this was deleted in the 16 fax that was -- can I remember the number? Page 1208? 17 THE CHAIRMAN: That's the 1 August 1994 fax. 18 A. I believe it is, yes. Where in the fax the distances of 19 extent of damage were struck through and replaced with 20 the words "one-compartment subdivision". In schedule 3. 21 So I'm not disputing that that was perhaps a mistake, as 22 has been stated. But that's how I interpreted it, that 23 the 0.1 had been deleted from this fax as being 24 a requirement. And the rule, as I read it, said 25 "distances between bulkheads", so the aft peak</p>

Page 9	Page 11
<p>1 compartment was not a compartment to which the 0.1L rule 2 applied. I appreciate the Marine Department may have 3 a different interpretation. 4 MR MOK: Yes. Just staying on page 63, paragraph (3)(a). 5 Do you interpret the reference here to 0.1L as meaning 6 something completely different from what we see in 7 paragraph 6(6), or similar? 8 A. No, I think they have exactly the same origins. 9 Q. Right. But in terms of application -- let's say -- if 10 the understanding is this, if the distance between two 11 bulkheads is less than 0.1 -- sorry. If the distance 12 between two bulkheads is less than 0.1L of the length of 13 the ship, then so far as the calculation of damage 14 stability is concerned, you would disregard one of the 15 bulkheads separating that particular compartment and the 16 next one? Do you agree that to be the effect? 17 A. Yes. It states that quite clearly, yes. 18 Q. So applying that to Lamma IV, where the distance between 19 the transom, as you said, to the steering gear 20 compartment bulkhead is less than 0.1L, do you say that 21 that bulkhead that is at frame 1/2 should or should not 22 be disregarded for the purposes of calculating the 23 damage stability? 24 A. I believe it should be disregarded, because there is no 25 requirement, as I read it, for that to be treated as</p>	<p>1 THE CHAIRMAN: In 1996? 2 A. In 1996. 3 THE CHAIRMAN: The difference was the adding of lead plus 4 the other weight on the vessel in 1998. 5 A. Correct, yes. 6 MR MOK: But I think for the purposes of this case, it is 7 important to know that, assuming that there was 8 a watertight bulkhead at frame 1/2, whether it would or 9 would not have passed the 0.1L rule. It is important to 10 know that, isn't it? 11 A. I don't think so. I think it's rather secondary, to be 12 honest. 13 Q. All right. So let's say, contrary to your view, it may 14 still be necessary to determine that -- assuming that -- 15 what would your view be? 16 A. I think I've made my view quite clear, Mr Mok, that 17 I don't think it was necessary for the aft peak 18 compartment to meet the 0.1L requirement. 19 Q. That's your view? 20 A. Correct. With that as background, it's why I presented 21 in my second report the conditions that you started out 22 referring to, where I looked at the tank room on its 23 own. 24 Q. So I have to put to you, Dr Armstrong, that the Marine 25 Department disagrees with that interpretation --</p>
<p>Page 10</p> <p>1 a compartment, because it did not have watertight 2 bulkheads at each end. 3 Q. I understand that point. But assuming that it was 4 a watertight bulkhead, assuming for the time being, 5 should it or should it not be disregarded for the 6 purposes of the 0.1L rule? 7 A. Well, my point is, Mr Mok, that seen from -- I use the 8 term "perspective of the tank room", when you're 9 designing the tank room, it's more than 0.1L, therefore 10 the watertight bulkhead in that location is entirely 11 valid. But seen from the perspective of designing the 12 aft peak bulkhead, I don't believe that needs to meet 13 floodable length criteria because it is covered by 14 an overarching rule which says "There shall be an aft 15 peak bulkhead". 16 Q. Yes, but the rule, as you call it the after peak 17 bulkhead rule, does not dictate any particular length or 18 any particular location. So it doesn't help with the 19 floodable length calculation or with the damage 20 stability calculation. Just to have a bulkhead there 21 doesn't tell you where it should be. 22 A. It may be a semantic argument, Mr Mok, because at the 23 end of the day, the vessel would have passed with both 24 the tank room and the aft peak compartment flooded when 25 it was designed, in the condition in which it was built.</p>	<p>Page 12</p> <p>1 A. I understand that. 2 Q. -- and maybe it's a matter which should be left to the 3 Commission. 4 A. I understand that, yes. 5 Q. Thank you. So, going back to the table on page 928 6 under "Tank room only", assuming, just assuming, 7 Dr Armstrong, that the Marine Department is correct, in 8 other words that you should, even with a watertight 9 door, disregard the bulkhead at frame 1/2, may I suggest 10 that then this table should be revised so that under 11 "1998", under the line "With watertight door", that the 12 number 1.007 should be amended so that it would read the 13 same as the next line, namely "Immersed by 0.115", and 14 this is because with or without the watertight door -- 15 on my interpretation, that is -- the result should be 16 the same? On that assumption, would you agree with 17 that? 18 A. No, Mr Mok, I'm sorry, I would not agree because there's 19 a difference here between what is required to be checked 20 by regulation, which is of course an important 21 requirement, and what I was doing here, which was 22 talking about the practical vessel. It is possible to 23 flood the tank room alone if there is a watertight door 24 there. 25 Q. Yes. I understand the exercise that you are doing. But</p>

Page 13	Page 15
<p>1 what I am saying is if you do apply the rule of 0.1L as 2 the Marine Department interprets it, then the result 3 would be the same as the next line. 4 A. It would be, but it wouldn't change what I've written 5 here, which is what happens if the tank room alone is 6 flooded. 7 Q. I understand. And would your answer be the same in 8 relation to the 1.046 under "With watertight door" in 9 2005? Your answer would be the same, I suppose? 10 A. It would, yes. 11 Q. Thank you. 12 I'm going to move on to your next report, but before 13 I do that, there is a point which is relevant also from 14 page 929 of this bundle. Can I ask you to have a quick 15 look at that. 16 A. Yes. 17 Q. It's the table headed "Engine room and tank room 18 flooded"; do you see that? 19 A. Yes. 20 Q. I think you say the last line that is under "2005", "No 21 watertight door", "Vessel sinks", I think your view is 22 that line approximates the situation which obtained at 23 the time of the incident on 1 October 2012. 24 A. Yes, correct. 25 Q. Right. Under that condition, with the raised ballast,</p>	<p>1 there were or were not the ballasts being added? 2 A. Could you repeat the question, please? 3 Q. Yes. The question is so far as the loss of Lamma IV is 4 concerned -- because you used the words "major 5 contributing factors". You're talking about the 6 ballast? 7 A. Yes. 8 Q. So my understanding is that you seem to be saying that 9 with the ballast -- 10 THE CHAIRMAN: It's ballast and other items, is it not? 11 MR MOK: Yes, ballast and other items. 12 THE CHAIRMAN: Because it's about 15 tonnes, and ballast is 13 only 8.25. 14 MR MOK: Correct. It's an addition of weight. Perhaps 15 I can use the term "addition of weight over the years". 16 A. Yes. 17 Q. That was a major contributing factor in the sense 18 without that additional weight, perhaps Lamma IV would 19 not have been lost. Is that the implication? 20 A. The implication is more that the calculations were not 21 redone and, more importantly, not redone correctly, 22 because the fact there was no watertight door there was 23 not recognised. So if this addition had been noted and 24 the calculations redone, somebody would have noticed 25 that the margin line was immersed and furthermore,</p>
Page 14	Page 16
<p>1 the vessel would sink? 2 A. Correct. 3 Q. If you look at the second line of this table, under 4 "1996", with "No watertight door", under that condition 5 the vessel would also sink; correct? 6 A. Correct. With no watertight door, yes. 7 Q. So would it be correct to say that with or without the 8 ballast, or with or without the ballast being raised, 9 under the condition of the engine room and tank room 10 flooded with no watertight door, the vessel would sink 11 all the same? 12 A. Yes, it would. There is no buoyancy in the after part 13 of the vessel at all in any of those conditions. 14 Q. Right. So with that in mind, can I invite you to look 15 at your part 2 report, please, at page 1644. Under 16 paragraph A-18, what you have stated there is: 17 "One of the major contributing factors in the loss 18 of Lamma IV was the increase in the weight of the vessel 19 (lightship) by over 30% some years after the watertight 20 subdivision had been calculated (by the addition of 21 ballast and fendering and other items), resulting in 22 a substantial decrease in freeboard to the margin line 23 and which was not recognised." 24 Are you saying there, Dr Armstrong, that it would 25 make a difference to the loss of Lamma IV whether or not</p>	<p>1 without the door, it sank. 2 Q. So this is how we should understand this paragraph, 3 right? In other words, we should not understand it in 4 the sense that without the addition of weight, the ship 5 would not have been lost? That's not the way we should 6 understand this paragraph? 7 A. Correct, yes. 8 Q. Right. Thank you. 9 Going to the next issue. These are minor issues. 10 Going back to page 1643, please. In the top paragraph 11 on that page, I think you made this suggestion: 12 "The drawing approval and the survey should ideally 13 be done by the same persons ..." 14 A. I did, yes. 15 Q. I think one possible consideration, and I'm putting this 16 forward for your consideration, is that one advantage of 17 having different people or different sets of people 18 dealing with the same vessel is to reduce the 19 opportunities for corruption or, you know, 20 under-the-table dealings between particular officers and 21 the builder. So one of the considerations may be that 22 if you spread the handling of a particular vessel among 23 different groups of people or different persons, it may 24 reduce that opportunity. Do you agree that to be one of 25 the valid considerations?</p>

Page 17	Page 19
<p>1 A. It's a little outside my experience, Mr Mok, but 2 I understand and perhaps could agree with what you're 3 saying, yes. 4 Q. Yes. So would a viable alternative to insisting on the 5 same group of people dealing with both the approval and 6 the inspection be to just shape up the paperwork process 7 so that there would be no missing records of key matters 8 being dealt with during the approval and survey of this 9 ship? 10 A. I would have to agree that multiple people could be used 11 if the communication between them was seen to be very 12 good. 13 Q. Right. Thank you. The next matter I would like your 14 input on, which is really to explore with you, is on 15 page 1651. I think in this whole section, from A-43 16 onwards, you are dealing with basically the drafting of 17 annex F of the code of practice. 18 A. Yes. 19 Q. One of the points you made is that there is no clear 20 reference to watertight subdivisions or floodable length 21 calculation. 22 A. None that I could find, no. 23 Q. Yes. But you do note in paragraph A-45 that there is 24 a requirement for the submission of estimated damage 25 stability information at an early stage?</p>	<p>1 but they are different. 2 Q. If I may summarise what you are saying. What you are 3 saying is that the calculation of the margin line will 4 give you the information concerning the stability of the 5 vessel when it is either tilted at the bow or at the 6 stern? 7 A. I wouldn't have used the word "stability" because it's 8 got nothing to do with coming back upright. 9 Q. Right. 10 A. It's a question of whether it's going to submerge the 11 margin line, sink the ship. 12 Q. Yes. 13 A. It has nothing to do with stability, which is the energy 14 available to bring the vessel back again. 15 Q. Right. Without using "stability", but it does give you 16 the information of whether or not the margin line would 17 be submerged in the sense of making the vessel either 18 tilt forward or backward? 19 A. Yes, they both relate to the same margin line, just in 20 different locations. 21 Q. Would that information then assist the builder and the 22 Marine Department in determining whether or not the 23 watertight subdivisions were correctly being proposed? 24 A. I don't believe so, Mr Mok. I tried to make the point 25 a little later on that you can have very good damage</p>
<p>Page 18</p> <p>1 A. Yes. 2 Q. And that would include, I think, from the code of 3 practice, a calculation of the margin line. Would you 4 like to have a look at that? 5 A. I don't think that's necessary. I believe that's the 6 case, yes. 7 Q. Yes. Would that help to give sufficient information so 8 far as the permissible subdivision or proper 9 subdivisions are concerned, with this particular 10 calculation? 11 A. There is a difference, Mr Mok, that damage stability is 12 largely about the vessel heeling to one side. Yes, the 13 margin line is a criteria with damage stability, but 14 with the vessel heeled over, that's the margin line 15 being immersed at the side of the ship, with the vessel 16 heeled. 17 In the regulation, it defines damage stability as 18 being with the vessel upright. Level trim. And margin 19 line immersion in that case is usually at the bow or at 20 the stern, rather than at the side of the ship. Or it 21 can be, in severe cases, at the middle of the ship, if 22 there is a lot of what we call shear. In other words, 23 the boat looks like a banana, so the middle of the deck 24 is lower than anywhere else. But the vessel is upright 25 and not heeled to one side, so they are similar criteria</p>	<p>Page 20</p> <p>1 stability, and I believe Lamma IV did have adequate 2 damage stability, even though it was sinking. 3 So the fact that you can have very good damage 4 stability by lots of ballast -- as we saw on Lamma IV, 5 more ballast was added, the damage stability improved, 6 but unfortunately the watertight subdivision capability 7 decreased. So the fact that one can increase when the 8 other decreases suggests to me that the two are not that 9 clearly related. You can't make conclusions about one 10 from the behaviour of the other. 11 Q. So other than the calculation of the margin line and 12 whether or not it is submerged in a particular way, what 13 other information or calculation should be done at the 14 early stage before the ship is built? 15 A. One of the first things a naval architect would want to 16 do is to decide on his length, breadth, depth, the 17 principal size of the vessel, and then to think about 18 where to put the bulkheads, which is strictly 19 a watertight subdivision and immersing the margin line. 20 Because out of that will come information which will 21 allow the designer to maybe change the beam of the boat, 22 make it wider, or to increase the depth, and most 23 specifically the depth, because the depth gives you 24 what's called the freeboard, which is the distance from 25 the deck down to the water, which is of course directly</p>

Page 21	Page 23
<p>1 related to the distance from the margin line down to the 2 water. 3 Once he has that information together, then he would 4 go on to further design the ship to then give him some 5 information on the heights of the weight of the ship, 6 which would then allow him to look at the stability. 7 Because an important factor here is that the location of 8 the weight of the ship -- that is, the centre of 9 gravity -- vertically and longitudinally does not affect 10 watertight subdivision. But it is a vital and important 11 input into the intact and the damage stability. 12 Q. So what you're saying is that if annex F is to be 13 redrafted in any way, you would like to drafter to take 14 into consideration these remarks that you have made 15 here, and also that you have just made now? 16 A. Based on the unfortunate experience on Lamma IV, I think 17 it's essential that it's done. 18 Q. Yes. Thank you. One short question about the seats. 19 You have dealt with the seats on page 1653. You say in 20 paragraph A-57: 21 "Seats were poorly attached to the deck of composite 22 sandwich construction on Lamma IV, and became loose over 23 time." 24 Then you have some suggestion there as to how this 25 could be improved.</p>	<p>1 Q. But I have noticed that you have made no recommendation 2 in this regard in your part 2 report. Should there be 3 some recommendation in this regard, if it is so 4 important? 5 A. I think that's an astute observation, Mr Mok. Yes, 6 perhaps there should be some clarification. 7 Q. What should that recommendation be, if there be 8 a recommendation? 9 A. I would need to consider that a little further. I would 10 not be wanting to state numbers. 11 Q. Right. 12 A. I think it should be clear that the aft peak bulkhead is 13 in the after part of the vessel, with a volume behind it 14 of moderate capacity or minimum capacity or something 15 like that. 16 Q. So in some general terms? 17 A. In some general terms. 18 Q. But you would not, for example, stipulate a distance or 19 location comparable to that which is required for the 20 collision bulkhead? 21 A. No, sir, I would not. 22 Q. So you would not use, for example, the 0.1L as being the 23 guideline for this purpose? 24 A. No, I would not suggest a particular figure. The 25 collision bulkhead location is quite specific, between</p>
Page 22	Page 24
<p>1 A. Yes. 2 Q. One question I have is this. Do local vessels in other 3 jurisdictions, maybe such as the UK or Australia, permit 4 portable seats to be used in local vessels? 5 A. I don't know, Mr Mok. I know in Australia that that is 6 not permitted, and there is a requirement for all seats 7 to be rigidly attached. 8 Q. Right. 9 A. But a portable seat can be rigidly attached, which is 10 the reason I'm looking a little unsure. Portable seats, 11 in my understanding, are seats that can be moved but 12 they still have to be rigidly attached to the deck. 13 Q. That's actually the question I was going to ask you. If 14 there were going to be portable seats, how would those 15 seats be securely attached? 16 A. I have seen seats with a chain from the middle of the 17 seat down to the deck with a turnbuckle. But I don't 18 know if that is acceptable or not. 19 Q. You have not gone into that particular matter? 20 A. No. 21 Q. One final matter. You remember in relation to the aft 22 peak bulkhead, you had some observation that its 23 distance should be about or less than 0.1L from the 24 stern, or from the rudder stock? 25 A. Yes, sir.</p>	<p>1 5 and 7.5, or whatever classification society or SOLAS 2 you are looking at. But close to those figures. 3 Q. Right. 4 A. And that has come from very many years of experience 5 where vessels have been in collisions, and it's been 6 found to be an ideal location for the collision 7 bulkhead. So there is solid evidence behind that 8 location, but I think less so in the terms of aft peak, 9 mainly because there are so many different aft peak 10 designs. 11 Q. Right. 12 A. Ocean-going ships tend to come to a narrow point at the 13 after end, whereas Lamma IV was a very wide transom. 14 Q. And very many different types of vessels? 15 A. Indeed. Many different types of propulsion too. 16 Q. Indeed. So in short, would it be fair to say if indeed 17 there should be some guideline as to the location of the 18 aft peak bulkhead, there should be sufficient 19 flexibility to be given to the authority -- 20 A. Always very important in any legislation, yes. 21 Q. Yes. In particular in this respect. 22 A. I think it's in SOLAS, it does actually say "unusual 23 arrangements shall be especially considered". 24 Q. I'm talking about more specific guidelines as to the 25 location.</p>

Page 25	Page 27
<p>1 A. It says that about the aft peak bulkhead in SOLAS, 2 I think. 3 MR MOK: Right. Thank you very much, Dr Armstrong. 4 A. Thank you. 5 MR MOK: Those are my questions. 6 THE CHAIRMAN: Thank you, Mr Mok. 7 Mr Beresford? 8 Further examination by MR BERESFORD 9 MR BERESFORD: Dr Armstrong, you were referred to 10 legislation bundle 2, tab 11, Cap 369AM and in 11 particular to regulation 7(4) and 7(5) on page 8. 12 A. Yes. 13 Q. I believe you've prepared a diagram to illustrate 14 paragraph (5) in particular. 15 A. I did, yes. 16 Q. This has been paginated at page 1742-30. 17 You were shown some other standards relating to 18 ocean-going ships yesterday. 19 A. I was, yes. 20 Q. In particular the DNV and the German classification 21 societies. Do they derive from SOLAS? 22 A. They are, I believe, very similar to SOLAS and no doubt 23 derive in some way, with some modifications perhaps, to 24 SOLAS, yes. 25 Q. What about this section here?</p>	<p>1 The stern gland is marked in the aft peak bulkhead. 2 It's the main watertight mechanism to stop water leaking 3 around the shaft. The regulation says it shall be 4 "situated in a watertight shaft tunnel", and you can see 5 that in the diagram. It's marked "watertight shaft 6 tunnel". This is a watertight space. As the regulation 7 says, it should be of such volume that if the tunnel or 8 space is flooded, the margin line will not be submerged. 9 It's called a tunnel because if the engine is a long 10 way forward in the vessel, that watertight shaft space 11 can become very long and rather tunnel-like, but here 12 it's just shown as a rectangular box. 13 The regulation states that the stern tube, which is 14 the structural tube carrying the shafting and containing 15 bearings for the shafting, is in a separate compartment 16 which shall also be watertight, and you can see that's 17 aft of the aft peak bulkhead, the shaft tunnel being 18 forward of it. 19 The space behind the aft peak bulkhead is commonly 20 called the aft peak tank because it is a rather useless 21 space full of a lot of structure, so it is quite often 22 used as a ballast tank. 23 Q. So in this drawing, is the aft peak tank the stern tube 24 compartment? 25 A. It is.</p>
Page 26	Page 28
<p>1 A. This particular drawing was -- 2 Q. No, I'm just talking about our legislation. 3 A. Oh, this section of the rules? This is word for word, 4 I believe, in line with SOLAS. 5 Q. This derives from SOLAS? 6 A. Yes. 7 Q. Right. Your diagram. Could you just walk us through 8 that, please. I think it primarily relates, does not, 9 to subsection (5) of regulation 7? 10 A. It does, yes. The diagram is meant to represent the 11 great majority of ocean-going ships that are operating 12 at the present time and around which the SOLAS 13 regulations are focused. This is a section through the 14 vessel with the deck at the top. The main engine should 15 be obvious on the right. It's driving a shaft running 16 to the left of the diagram, with a propeller. And 17 behind that, a rudder. 18 In this particular case, there is an aft peak 19 bulkhead which is stepped but may not be necessarily 20 stepped. It is marked as "aft peak bulkhead". 21 Q. So the dotted line indicates where it would go if it 22 were not stepped; is that right? 23 A. Correct. I might come back to that, Mr Beresford. 24 The stern tube, which is referred to in paragraph 25 (5) -- let me first of all talk about the stern gland.</p>	<p>1 Could you just bear with me, Mr Beresford. Just 2 reading the regulation. 3 The final part says: 4 "The stern tube shall be enclosed in a watertight 5 compartment, the volume of which shall be the smallest 6 compatible with the proper design of the ship." 7 If I can go back to the diagram. The aft peak tank, 8 which contains the stern tube, is then under this 9 regulation required to have a volume which is the 10 smallest compatible with the proper design of the ship. 11 It can be a very difficult space. It's full of 12 structure and really has little use, as I said, other 13 than to provide a watertight boundary. 14 Just going back to the aft peak bulkhead, it could 15 of course go straight up, but that would make a rather 16 large steering gear compartment or a rather useless 17 space. Sometimes on ships the space between the 18 steering gear compartment and the aft peak bulkhead, if 19 it did go straight up, is used for a freshwater tank. 20 But here I've just shown it being stepped and part of 21 the engine room. 22 This arrangement is very different to what we had on 23 Lamma IV where the shafting went through the after end 24 of the engine room and down below through the bottom of 25 the vessel. But it did have a stern tube and a stern</p>

Page 29	Page 31
<p>1 gland, and that would fall under the provision of -- in 2 different designs, of course, the authorities have the 3 capability to accept a different arrangement. 4 If I might refer to the three pieces of information 5 put forward yesterday. Page 5089 -- I think it was 6 marine bundle 13, Mr Beresford? 7 Q. Yes. Page 5089 is the DNV structural arrangement 8 section. 9 A. It was, for oil tankers with a length of 150 metres and 10 above. 11 Q. Yes. That appears from page 5088. 12 A. Yes. Paragraph 2.3.1.1 requires: 13 "An aft peak bulkhead, enclosing the stern tube and 14 rudder trunk in a watertight compartment ..." 15 And my diagram shows that. 16 It then goes on to say: 17 "Where the shafting arrangements make enclosure of 18 the stern tube in a watertight compartment 19 impractical" -- which would be a situation similar to 20 Lamma IV, for example, not that Lamma IV was an oil 21 tanker -- "alternative arrangements will be specially 22 considered." 23 If I might then refer to page 5091, which is the 24 Germanischer Lloyd regulation for inland navigation 25 vessels. In paragraph 6.2, it states:</p>	<p>1 If I might go back to page 5095. 2 "After peak bulkhead." 3 A term applied to the first transverse bulkhead 4 forward of the stern post. This bulkhead forms the 5 forward boundary of the after peak tank and should be 6 made watertight." 7 You'll note above it says the aft peak is the 8 compartment just forward of the stern post. The term 9 "just forward" suggests to me that the after peak 10 bulkhead should be considered as just forward of the 11 stern post. 12 Q. Can we just pause for a moment, please, and look at 13 a plan of the Lamma IV. 14 Tell me if you wish to refer to a different one, 15 Dr Armstrong, but perhaps the General Arrangement would 16 be the simplest for this purpose. 17 A. Ideal, yes. 18 Q. If we look at the profile, where is the stern post on 19 Lamma IV? 20 A. It does not have a stern post. 21 Q. It doesn't have a stern post? 22 A. No. The vessel has a transom. 23 Q. Going back to the definitions we were just looking at at 24 page 5095, it says: 25 "After peak bulkhead."</p>
<p>Page 30</p> <p>1 "The after peak bulkhead is to enclose the stern 2 tube and the rudder trunk in a watertight compartment." 3 That was the case in my diagram. It then also 4 permits other measures to be taken, such as may be 5 necessary with a twin-screw craft. 6 Q. Can we go back to the Germanischer Lloyd. 7 A. If I might finally refer to the third documentation that 8 was submitted yesterday, on page 5095, it defines on 9 after peak" and "after peak bulkhead", and I'm obliged 10 to Mr Mok for providing this. It says: 11 "After peak. 12 A compartment just forward of the stern post." 13 I will explain "stern post" shortly. 14 "It is generally almost entirely below the load 15 waterline." 16 "Just forward of the stern post"; if we can go back 17 to my diagram, please. The stern post, although not 18 shown here, is that piece of structure that is S-shaped. 19 It's a reverse "S" in this diagram, at the after end of 20 aft peak tank, shown just forward of the propeller. 21 It runs from the bottom end of the aft peak bulkhead 22 and then up in a curve -- correct -- and then keeps 23 going, and around. That usually referred to as the 24 stern post. It is usually a cast piece of structure 25 which I have not shown there.</p>	<p>Page 32</p> <p>1 A term applied to the first transverse bulkhead 2 forward of the stern post. This bulkhead forms the 3 forward boundary of the after peak tank and should be 4 made watertight." 5 So where would you place that on Lamma IV, if there 6 is no stern post? 7 A. I think where it is located at the present time is 8 an excellent location, Mr Beresford. 9 Q. And that's frame 1/2, is it? 10 A. At frame 1/2. It provides just sufficient space for the 11 steering gear mechanism. 12 Q. The reason I ask is because the origin of this issue was 13 Mr Wong Chi-kin's evidence on Day 17, page 11, line 3, 14 where he said: 15 "... I understand, the engine room after bulkhead 16 can be considered as the peak bulkhead." 17 A. Yes, I recall that. 18 Q. Is that consistent with the definition we've just looked 19 add? 20 A. No, sir, I do not agree that that can be considered the 21 aft peak bulkhead. 22 Q. Just going back to the General Arrangement plan and in 23 particular the profile. We can see the propeller tube 24 going through the hull in the engine room; is that 25 right?</p>

Page 33	Page 35
<p>1 A. Correct.</p> <p>2 Q. So I'm not sure if there's any suggestion that the</p> <p>3 bulkhead at frame 9 could be an after peak bulkhead?</p> <p>4 A. Presumably not.</p> <p>5 Q. You wouldn't agree that it could?</p> <p>6 A. No, I would not.</p> <p>7 Q. Did you have anything more you wanted to say about the</p> <p>8 drawing provided?</p> <p>9 A. No. Thank you very much.</p> <p>10 Q. No. Thank you, Dr Armstrong.</p> <p>11 So just in relation to the aft peak bulkhead, it</p> <p>12 seems to me that we have to consider it in three periods</p> <p>13 of time. There's the time that pertained in 1995, and</p> <p>14 the definitions in the Blue Book, possibly the 1995</p> <p>15 Instructions; the present time, under the code of</p> <p>16 practice, 2006; and the future, as my learned friend</p> <p>17 Mr Mok just asked you.</p> <p>18 In relation to the time pertaining when Lamma IV was</p> <p>19 built, in 1995, Mr Wong Chi-kin said in his evidence</p> <p>20 that he had actually regarded the aft peak bulkhead as</p> <p>21 being the one at frame 1/2. But then he also, as we've</p> <p>22 just seen, said that the engine room after bulkhead</p> <p>23 could be considered as the peak bulkhead, although that</p> <p>24 appears to have been an ex-post rationalisation.</p> <p>25 They're inconsistent. Which, in your view, is correct?</p>	<p>1 from leakage.</p> <p>2 Q. Hence the rules and regulations relating to the rudder</p> <p>3 stock and the stern gland?</p> <p>4 A. Correct.</p> <p>5 Q. My learned friend also asked you in relation to the</p> <p>6 watertight bulkhead and the 0.1L rule whether the</p> <p>7 question of whether or not the transom was a bulkhead</p> <p>8 was a matter of interpretation. He did not identify any</p> <p>9 other alternatives, and in particular whether it was</p> <p>10 a matter of practice. As you put it in your report, as</p> <p>11 one skilled in the art of naval architecture, what is</p> <p>12 the practice of naval architects, as far as you are</p> <p>13 aware? Is the transom regarded as a main transverse</p> <p>14 bulkhead?</p> <p>15 A. I cannot speak for other naval architects,</p> <p>16 unfortunately, because I do not know the answer to that.</p> <p>17 But in my experience, from all I have done -- in the</p> <p>18 last few years most of what I have been doing,</p> <p>19 Mr Beresford, is catamarans. So they tend to be greater</p> <p>20 than 0.1L. But the monohulls that I have done, and some</p> <p>21 of the patrol boats, also fell outside the 0.1L so would</p> <p>22 not have created a problem.</p> <p>23 Q. I'm not asking about 0.1L; I'm asking about the question</p> <p>24 of whether a transom can be a bulkhead.</p> <p>25 A. Oh. Transom cannot be a bulkhead, no, sir.</p>
Page 34	Page 36
<p>1 A. The frame 1/2 is the only consideration I would have of</p> <p>2 the aft peak bulkhead.</p> <p>3 Q. Yes. Then the present situation under the code of</p> <p>4 practice, that seems to be clear, that the aft peak</p> <p>5 bulkhead is required to be watertight and would be</p> <p>6 positioned at frame 1/2; is that right?</p> <p>7 A. I believe so, yes.</p> <p>8 Q. My learned friend asked you what your recommendation</p> <p>9 would be for the future, and of course I appreciate that</p> <p>10 you would want to consider that, not having included</p> <p>11 that in your report. But is it fair to say that there</p> <p>12 are two considerations, at least. One of the</p> <p>13 considerations derives from the 0.1L and watertight</p> <p>14 subdivision, in other words the risk of collision and</p> <p>15 the possibility of a hole on the bulkhead that may</p> <p>16 affect two compartments, but the other is simply to have</p> <p>17 some buoyancy at one end of the boat, isn't it?</p> <p>18 A. Yes. Which is covered by the requirement to have an aft</p> <p>19 peak bulkhead.</p> <p>20 Q. Was that the rationale in 1995?</p> <p>21 A. I believe it was.</p> <p>22 Q. And is that the rationale in 2006?</p> <p>23 A. I believe it was.</p> <p>24 Q. And is that a valid rationale for the future?</p> <p>25 A. I believe so. As well as some protection from flooding</p>	<p>1 Q. Can you answer that as a matter of practice, or is that</p> <p>2 just your interpretation of the rule? What is the</p> <p>3 general practice of naval architects?</p> <p>4 A. A transom is not a bulkhead. It's like trying to say</p> <p>5 a deck is a bulkhead. They serve a similar purpose, to</p> <p>6 keep the water out, but they're not the same at all.</p> <p>7 Q. If hypothetically the tank room or a void space was less</p> <p>8 than 0.1L -- can you just suppose the hypothesis for</p> <p>9 a moment?</p> <p>10 A. Yes.</p> <p>11 Q. Which bulkhead should be regarded as forming part of the</p> <p>12 subdivision of the ship, for the purpose of</p> <p>13 paragraph 6(6)?</p> <p>14 A. Yes, it's an interesting question. It says "one of the</p> <p>15 bulkheads shall be ignored". I'm not sure whether that</p> <p>16 is up to the discretion of the designer. I believe it</p> <p>17 is, but I'm not 100 per cent certain. It's not</p> <p>18 an uncommon occurrence, because many vessels have what</p> <p>19 are calls cofferdams. If, for example, you have</p> <p>20 an engine room and you want to put the passenger space</p> <p>21 next to it, it's normally not allowed for fire reasons.</p> <p>22 So you would make a void space between them, which is</p> <p>23 called a cofferdam. So there is a void there, and</p> <p>24 thereby you're not conflicting with the regulations that</p> <p>25 say an engine shall not be next to a passenger space.</p>

Page 37	Page 39
<p>1 And there are other examples such as fuel tanks next to 2 engine rooms, which is quite common. 3 In that case, of course, the cofferdam, which is 4 surrounded by watertight bulkheads, perhaps only 1 or 5 2 metres apart, would conflict with the 0.1L. In that 6 case, I believe the designer would choose one of those 7 as being what is called a non-conforming watertight 8 bulkhead. 9 Q. Would that choice be made for all purposes? 10 A. It would be made for all purposes and it would be marked 11 as "non-conforming watertight bulkhead" on the plans, 12 including on the GA. 13 Q. Thank you. Now, my learned friend asked you some 14 questions about floodable length. In particular, he 15 asked you if the stability calculations would enable you 16 to see if the margin line would be submerged by making 17 the vessel tilt forward or backward. 18 A. Yes. 19 Q. My understanding of your evidence is that the stability 20 calculations were concerned with transverse stability, 21 not fore and aft stability? 22 A. Correct. 23 Q. So which is correct? 24 A. I'm unsure of your two options, I'm sorry. The first 25 one was about longitudinal stability, but I argued it</p>	<p>1 A. Correct. Sorry, did you say "not attached"? 2 Q. The fact that is seat is described as "portable" does 3 not imply that it is not attached? 4 A. Correct, yes. Thank you. 5 MR BERESFORD: Thank you very much, Dr Armstrong. I have no 6 further questions. 7 A. Thank you. 8 THE CHAIRMAN: Thank you, Dr Armstrong, for assisting us in 9 so many different areas. Your evidence is now complete, 10 and may we wish you a safe return journey. Thank you 11 for all your help. 12 A. Thank you very much, sir. Thank you. 13 (The witness withdrew) 14 THE CHAIRMAN: Yes, Mr Beresford. 15 MR BERESFORD: Mr Chairman, I believe now it just remains 16 for some miscellaneous matters to be tidied up. In 17 particular there's Mr Lee Kwok-keung's statement. 18 THE CHAIRMAN: We don't regard him as miscellaneous, 19 Mr Beresford. 20 MR BERESFORD: I don't wish to diminish the importance of 21 Mr Lee in any way. 22 THE CHAIRMAN: No. We regard his evidence as of some 23 significance. 24 MR BERESFORD: Perhaps the best way to deal with it would be 25 to call him, for me to read his statement, and then if</p>
Page 38	Page 40
<p>1 was not about longitudinal stability because there was 2 no righting moment trying to bring the vessel back 3 upright. 4 Q. So this question of tilting forward or backward doesn't 5 really arise, does it, in relation to the stability 6 calculations? 7 A. Correct. 8 Q. Then finally, my learned friend referred you to the 9 question of portable seats. There was some question as 10 to whether a portable seat might be attached or not. 11 There was an exhibit, WCK-4, to Mr Wong Chi-kin's 12 statement, which is in marine bundle 11 and begins at 13 page 3912. 14 This is something from the Department for Transport. 15 In fact, to give it its accurate description, it is 16 "Department for Transport, Instructions for the Guidance 17 of Surveyors, MSIS 4 chapter 12". 18 If we can turn to page 3915, paragraph 12.2.6.1, we 19 see there reference to: 20 "Seating either fixed or portable having attachment 21 either to the deck or a bulkhead ..." 22 A. Yes. 23 Q. So does that conform to your understanding that 24 reference to a portable seat does not imply that it's 25 not attached?</p>	<p>1 anybody has any questions, they can be put. 2 THE CHAIRMAN: Yes, I think that's the way to proceed. 3 MR BERESFORD: In that case, I call Mr Lee Kwok-keung. 4 MR LEE KWOK-KEUNG (sworn) 5 Examination by MR BERESFORD 6 MR BERESFORD: Good morning, Mr Lee. Thank you very much 7 for coming this morning to assist the Commission in its 8 Inquiry. 9 Mr Lee, you've made a statement dated 6 March 2013, 10 which may be found in our miscellaneous bundle at 11 page 185. Do you have a copy of that statement in front 12 of you? 13 A. Yes, I have. 14 Q. Do you recognise your name and signature at page 191? 15 A. Yes. 16 Q. Have you had an opportunity to remind yourself of the 17 content of this statement today? 18 A. Yes. 19 Q. Is there any amendment or addition you would like to 20 make? 21 A. No. 22 Q. So are the contents of this statement true? 23 A. Yes. 24 Q. Thank you. The exhibit you refer to is at page 193, 25 marked appendix 1.</p>

Page 41	Page 43
<p>1 A. Yes.</p> <p>2 Q. Mr Lee, I'm going to read through your statement. If</p> <p>3 there's anything that you hear that is inaccurate or</p> <p>4 incorrect, or that you'd like to modify, please stop me</p> <p>5 and let me know.</p> <p>6 A. Yes.</p> <p>7 Q. "I am the chairman of Hong Kong & Kowloon Trades Union</p> <p>8 Council, and I am duly authorised by HKKTUC to make this</p> <p>9 statement on its behalf to provide our views and</p> <p>10 observations to the Commission of Commission of Inquiry</p> <p>11 into the Collision of Vessels near Lamma Island on</p> <p>12 1 October 2012.</p> <p>13 A. Hours of work of seafarers.</p> <p>14 2. The working hours of sea crew in Hong Kong</p> <p>15 waters and river trade vessels is different, as</p> <p>16 different legislations apply to seafarers of different</p> <p>17 vessels: According to section 4 of Employment Ordinance</p> <p>18 (Cap 57), Employment Ordinance is applicable to</p> <p>19 seafarers of Hong Kong waters vessels. New World First</p> <p>20 Ferry Services Ltd, the Star Ferry Company Ltd and the</p> <p>21 Hong Kong & Kowloon Ferry Holdings Ltd all apply the</p> <p>22 Employment Ordinance, whereas Shun Tak-China Travel</p> <p>23 Macau Ferries Ltd applies the Merchant Shipping</p> <p>24 (Seafarers) Ordinance (Cap 478).</p> <p>25 3. In the present case, Sea Smooth's seafarers have</p>	<p>1 Watchkeeping of Seafarers 95 ('STCW Convention 95').</p> <p>2 Hong Kong is one of the 133 countries or areas that have</p> <p>3 given full and complete effect to the provisions of the</p> <p>4 STCW Convention 95.</p> <p>5 5. By working on a 24-hour shift, the working hours</p> <p>6 of sea crew of vessels of HKKF and First Ferry might not</p> <p>7 have breached the Employment Ordinance, but such working</p> <p>8 hours might have breached section 4 of the Merchant</p> <p>9 Shipping (Seafarers)(Hours of Work) Regulation</p> <p>10 (Cap 478D), had such regulation been applicable to</p> <p>11 them."</p> <p>12 Just pausing there, Mr Lee. On the question of</p> <p>13 application, I should perhaps read out section 3 of</p> <p>14 Cap 478, which says --</p> <p>15 THE CHAIRMAN: Do we have that legislation?</p> <p>16 MR BERESFORD: It's not in our bundle, though I understand</p> <p>17 we might be about to receive copies. Cap 478,</p> <p>18 section 3.</p> <p>19 THE CHAIRMAN: I think we can find it on an internet site</p> <p>20 and put it up so that it can be followed.</p> <p>21 MR BERESFORD: Now we have section 3 on the screen. This</p> <p>22 provides:</p> <p>23 "This Ordinance shall not apply to --</p> <p>24 (a) any ship of war ...</p> <p>25 (b) any vessel required to be certificated under the</p>
<p>Page 42</p> <p>1 to work on a 24-hour shift."</p> <p>2 You've given us a reference there to paragraph 6 of</p> <p>3 Lai Sai-ming's statement and his evidence, and</p> <p>4 paragraph 9 of Lo Pui-kay's statement and his evidence.</p> <p>5 "For the sake of comparison, I set out below the</p> <p>6 work hours of other ferry companies in Hong Kong:</p> <p>7 (a) Seafarers of First Ferry also work on a 24-hour</p> <p>8 shift.</p> <p>9 (b) The coxswain, assistant coxswain and engineer of</p> <p>10 Star Ferry work 8 hours per day, whilst deckhand works</p> <p>11 11 to 14 hours per day. Star Ferry provides 1-hour meal</p> <p>12 break to sea crew.</p> <p>13 (c) Shun Tak-China Travel's seafarers work a maximum</p> <p>14 of 11 hours per day, with minimum 11 hours of rest</p> <p>15 between two working days, and have 45 minutes' meal</p> <p>16 break.</p> <p>17 4. The Merchant Shipping (Seafarers) (Hours of</p> <p>18 Work) Regulation (Cap 478D), the subsidiary regulation</p> <p>19 of the Merchant Shipping (Seafarers) Ordinance (Cap</p> <p>20 478), stipulates that, subject to section 6 of the same</p> <p>21 Regulation, seafarers employed on a ship as officer in</p> <p>22 charge of a watch or as a rating forming part of a watch</p> <p>23 shall be provided a minimum of 10 hours of rest in any</p> <p>24 24-hour period. This is in line with the International</p> <p>25 Convention on Standards of Training, Certification and</p>	<p>Page 44</p> <p>1 Merchant Shipping (Local Vessels) Ordinance (Cap 548)</p> <p>2 except [certain immaterial exceptions]."</p> <p>3 So essentially the scheme, Mr Lee, is that Cap 478</p> <p>4 applies to vessels that go outside of Hong Kong waters,</p> <p>5 but local vessels are governed by the Employment</p> <p>6 Ordinance; is that right?</p> <p>7 A. Yes. As I see, I understand this way also. I share the</p> <p>8 same view.</p> <p>9 Q. Then if we can quickly look at Cap 478D, the Merchant</p> <p>10 Shipping (Seafarers)(Hours of Work) Regulation,</p> <p>11 section 4(1) provides:</p> <p>12 "Subject to section 6, a seafarer employed on a ship</p> <p>13 as officer in charge of a watch or as a rating forming</p> <p>14 part of a watch shall be provided a minimum of 10 hours</p> <p>15 of rest in any 24-hour period."</p> <p>16 Section 6 provides for certain exemptions:</p> <p>17 "Notwithstanding section 4, a seafarer may</p> <p>18 participate in a navigational, engine room or machinery</p> <p>19 watch although he has not had the rest periods specified</p> <p>20 in section 4(1) in the following circumstances and</p> <p>21 during the 24 hours immediately thereafter --</p> <p>22 (a) when the ship is engaged in an emergency</p> <p>23 operation or emergency drill, including rescue, salvage,</p> <p>24 towage, wreck location, buoyage operations, oil</p> <p>25 pollution, fire-fighting or public health duties; and</p>

<p style="text-align: right;">Page 45</p> <p>1 (b) during the existence of an emergency threatening 2 the safety of the ship or the life of any person." 3 So those are the regulations applicable to seafarers 4 who go to Macau and mainland China, but they don't apply 5 to local vessels under the Employment Ordinance? 6 A. Yes. 7 Q. Then you go on to say: 8 "Mr Ng Siu-yuen of HKKF mentioned that HKKF offered 9 Sunday off, but their counterparts in the trade do not. 10 Hence, HKKF had to 'buy leave' from sea crew (ie they 11 had two days less of holidays per month) to alleviate 12 the problem of staff shortage. Though no evidence was 13 given that HKKF signed contract with the crew of Sea 14 Smooth to 'buy leave' from them, the Commission is 15 reminded that, according to section 70 of the Employment 16 Ordinance, any term of an employment contract which 17 extinguishes or reduces any right, benefit or protection 18 conferred upon the employee by the Employment Ordinance 19 shall be void. Employees do not welcome the buying of 20 leave or rest days, because it deprives the employees' 21 rest period, and reduces their family time." 22 THE CHAIRMAN: Dealing with that issue, Mr Lee. As 23 I understood the evidence from Hong Kong & Kowloon 24 Ferry, the employees involved were free to choose 25 whether or not to accept this offer to work an extra day</p>	<p style="text-align: right;">Page 47</p> <p>1 he wishes to take the four whole rest days, but then he 2 or she may be forced to work. If he refuses to work on 3 the rest days, then he will face lay-off or something. 4 THE CHAIRMAN: We have no evidence about that. 5 A. Yes. Yes, I agree, but that is based on the contract of 6 them, between them, whether -- he has the choice whether 7 he'd like to take the four rest days or not. 8 THE CHAIRMAN: We have your point. Thank you. 9 A. Thank you. 10 THE CHAIRMAN: Yes, Mr Beresford. 11 MR BERESFORD: Mr Lee, you then turn to deal with the issue 12 of "Number of sea crew on board vessels". You say: 13 "7. In the present case, the number of crew members 14 on board Sea Smooth on 1 October 2012 was 4, viz 15 1 coxswain, 1 engineer and 2 deckhands. According to my 16 research, other ferry companies have more crew on board 17 vessels. 18 (a) Star Ferry: Has 6 to 7 crew members on board its 19 vessels, with 6 crew members (1 coxswain, 1 assistant 20 coxswain, 1 engineer and 2 to 3 deckhands) on upper deck 21 and 1 deckhand on lower deck. 22 (b) First Ferry: Has 4 to 8 crew members on board 23 its vessels, including coxswain, assistant coxswain, 24 engineer, assistant engineer and deckhand. 25 (c) Both Star Ferry and First Ferry maintain</p>
<p style="text-align: right;">Page 46</p> <p>1 or not. So it was entirely up to them. 2 A. Yes, Mr Chairman. Of course I think this Ordinance, the 3 Employment Ordinance, this certain section is dealing in 4 terms of is it on a voluntary basis or not? Of course 5 both parties have entered into an agreement before 6 employment. But it seems that there is some possibility 7 that the employee may be not willing to be taking away 8 two rest days. 9 THE CHAIRMAN: Yes. Then he says "no", doesn't he, "I won't 10 work on Sunday"? 11 A. Yes, Mr Chairman. I think the point is that we have to 12 see the employment contract. Because I myself have not 13 seen the contract. So it's I think based on the 14 contract, whether this is -- the employee has the choice 15 to choose not to be forced by working on only two rest 16 days per month. If he can -- 17 THE CHAIRMAN: I don't think it's been suggested in the 18 evidence that the employee must comply with the request. 19 That's why he's paid money to work. 20 I think the tenor of the evidence is, he's asked to 21 do it and if he's willing to do it, then he gives up his 22 leave day and he gets paid for it. So it's a voluntary 23 matter. That's as I understand the evidence. 24 A. Yes, Mr Chairman, but there may be some possibility that 25 the employee may like to choose in certain months, then</p>	<p style="text-align: right;">Page 48</p> <p>1 1 coxswain and 1 assistant coxswain in the wheelhouse of 2 their vessels, with the assistant coxswain performing 3 the duty of look-out." 4 THE CHAIRMAN: As far as First Ferry is concerned, Mr Lee, 5 do you know whether there is any logic to a variation in 6 the crew numbers from four to double, at eight? 7 A. Yes, I have asked the operational manager of First 8 Ferry, and he told me that they will act according to 9 the minimum requirement stipulated by the Marine 10 Department. Some smaller ferries, they may require 11 smaller manning. 12 THE CHAIRMAN: Thank you. 13 A. Yes. 14 MR BERESFORD: So in the case of all these numbers, are they 15 basically what is required by the Marine Department? 16 A. Sorry? 17 Q. In the case of all of these numbers that you have given, 18 are they simply what is required by the Marine 19 Department as the minimum manning? 20 A. Yes. I was told by the operators that, yes, they are 21 all worked out according to the -- in line with the 22 requirement of Mardep. 23 Q. Yes. 24 You then turn to the issue of "Fatigue": 25 "8. When asked whether there had been any complaint</p>

Page 49	Page 51
<p>1 about coxswains being overworked and not having enough 2 rest time, Mr Ng Siu-yuen of HKKF admitted that the 3 coxswains of HKKF expressed to him that 'if they had 4 more resting time in between (duties), then it will be 5 better'. It means that the coxswains want more rest. 6 9. Professor Andy Smith, Centre for Occupational 7 and Health Psychologist, Cardiff University ... wrote 8 a report titled 'Adequate Crewing and Seafarers' 9 Fatigue: ...' commissioned by the International 10 Transport Workers' Federation ('ITF') ..." 11 This you've exhibited at appendix 1. It's quite a 12 long report so obviously I'm not going to read the whole 13 thing, but you've given us a quote. You say: 14 "Below is an extract from paragraph 5.1.1 of the 15 said report, where Professor Andy Smith made reference 16 to a report by ITF named 'ITF Seafarer Fatigue: Wake up 17 to the dangers (1997)': 18 'this report, based on responses from 2,500 19 seafarers of 60 nationalities, serving under 63 flags, 20 demonstrates the extent of excessive hours and fatigue 21 within the industry. Almost two-thirds of the 22 respondents stated that their working hours were more 23 than 60 hours per week and 25% reporting working more 24 than 80 hours a week (42% of master). It was clear, 25 therefore, that on many ships working hours were in</p>	<p>1 11. The weekly working hours of drivers of Mass 2 Transit Railway ('MTR') do not exceed 42 hours, and 3 their daily working hours would not exceed 10 hours. 4 12. Both KMB and MTR have regular safety committee 5 meetings with union representatives. For example, KMB 6 held safety committee meetings with unions according to 7 the location of the company plants. 8 13. Both KMB and MTR provide free yearly medical 9 check-up for their drivers. KMB drivers must have 10 medical check-up yearly when they are over 50 years of 11 age, whereas MTR drivers over 45 years of age must have 12 yearly medical check-up." 13 You then go on to address the issue of "Manpower 14 Shortage and Training": 15 "14. There is a serious problem of manpower 16 shortage in the local vessels industry. According to 17 a recent survey conducted by companies of local vessels 18 (including Star Ferry), there is a shortage of about 19 80 seafarers in the local vessels industry. 20 15. Manpower shortage in the local vessels industry 21 could be attributed to the unattractive salary paid to 22 local vessels seafarers and their long working hours. 23 On average, the salary of a deckhand of local vessels is 24 around HK\$12,000 and they are required to work for about 25 312 hours per month (assuming that they work an average</p>
Page 50	Page 52
<p>1 excess of the STCW 95 of ILO 180 (International Labour 2 Convention No. 180) requirements. In addition, 36% of 3 the sample were unable to regularly obtain 10 hours rest 4 in every 24, and 18% regularly unable to obtain 5 a minimum of 6 hours uninterrupted rest. Long periods 6 of continuous watch-keeping were also reported, with 17% 7 stating that their watch regularly exceeded 12 hours. 8 Over half the sample (55%) considered that their working 9 hours presented a danger to their personal health and 10 safety. Indeed, nearly half the sample felt that their 11 working hours presented a danger to safe operations on 12 their vessel. Once again this was particularly 13 prevalent in watch-keepers and also on ferries and 14 offshore support vessels." 15 Was there anything else in this exhibit that you 16 wanted to draw our attention to, Mr Lee? 17 A. No, not particularly. 18 Q. No. Okay. Thank you. 19 You then go on to compare the situation with workers 20 in the road traffic industry. You say: 21 "10. The working hours of drivers of buses of 22 Kowloon Motor Bus Co (1933) Ltd ('KMB') do not exceed 23 14 hours per day, and their driving hours do not exceed 24 11 hours per day. KMB drivers have no less than minimum 25 of 10 hours of rest per day.</p>	<p>1 of 78 hours per week). Coxswain of local vessels earns 2 a salary of around HK\$15,000 on average. 3 16. Another reason for the manpower shortage in the 4 local vessel industry has to do with the lack of 5 training courses provided for seafarers of local 6 vessels. Since 2007, there has been no new class for 7 deckhand or new class for students who wish to further 8 their career to become coxswain. The companies 9 operating local vessels have repeatedly alerted Mardep 10 in the last few years over the lack of provision of 11 training courses. 12 17. The Government seems to pay more attention to 13 providing training to seafarers of ocean-going vessels 14 rather than seafarers of local vessels. In 2004, the 15 Government established a 'seagoing training incentive 16 scheme' with a funding of HK\$9 million. Under this 17 scheme, a cadet will receive HK\$5,000 per month during 18 the stipulated 'individual training period' which will 19 qualify him/her to sit for the class III deck/engineer 20 officer examination. The said financial incentive 21 (HK\$5,000 per month) will be paid in arrears directly to 22 the successful applicants by Mardep in lump sum upon the 23 cadet's completion of his/her employment contract up to 24 the maximum training period of 24 months. In the year 25 2010, the Government injected HK\$19.2 million more to</p>

Page 53	Page 55
<p>1 the scheme so that the scheme could be extended to 2014. 2 The total funding for the scheme comes up to HK\$28.2 3 million, but the local vessels industry does not receive 4 similar kind of financial assistance from the 5 Government." 6 THE CHAIRMAN: Does the local vessel industry receive any 7 financial assistance from the Government? 8 A. For the local vessels, I think not. I haven't heard 9 they have received any assistance from the Government. 10 But of course the courses held by the so-called Maritime 11 Services Training Institute, they have already received 12 some assistance, financial assistance from the Education 13 Bureau. So, for example, if they have radar operation 14 course for the local vessel seafarers, the students will 15 have to pay one-third of the total school fee. So there 16 is some kind of subsidy. But this kind of incentive 17 scheme, local vessel seafarers, I think, does not apply 18 to them. 19 THE CHAIRMAN: Yes. Thank you. 20 MR BERESFORD: I note the time, Mr Chairman. I don't know 21 if you wish to take a break. 22 THE CHAIRMAN: Yes, I think perhaps we should. 23 Mr Lee, we're going to take our break. I know 24 you've been present in the hearing for many days so 25 you'll know we take a 20-minute break. We'll resume in</p>	<p>1 look-out, (b) the masters of the vessels did not comply 2 with the Collision Regulations. 3 20. Besides the above incident, there are three 4 further recent reports of investigation by MAIS 5 involving high-speed craft: 6 (a) At 08:30 on 26 June 2011, a passenger high-speed 7 craft New Ferry VI departed from Macau to 8 Hong Kong-China Ferry Terminal. At 09:35, she collided 9 with a triple-decker ferry Xin Guo near the Central 10 Buoy. Investigation by MAIS revealed that the chief 11 master of NF and assistant master of Xin Guo did not 12 maintain a proper look-out and did not act in accordance 13 with the Collision Regulations. 14 (b) On 13 February 2011, a high-speed craft operated 15 by First Ferry New Ferry LXXXVI collided with a 16 transportation boat Pilot 2. The master and coxswain of 17 both vessels did not maintain a proper look-out and did 18 not comply with the Collision Regulations. 19 (c) On 20 March 2009, a high-speed craft Cotai Strip 20 Cotaigold and a local open sampan collided. 21 Investigation by MAIS revealed that the master of Cotai 22 Strip Cotaigold did not maintain a proper look-out. 23 21. It seems that there is a culture that the 24 masters and coxswains of local vessels are not 25 accustomed to maintain proper look-out on vessels.</p>
Page 54	Page 56
<p>1 20 minutes' time. Thank you. 2 (11.32 am) 3 (A short break) 4 (11.51 am) 5 THE CHAIRMAN: Yes, Mr Beresford. 6 MR BERESFORD: Thank you, Mr Chairman. 7 Mr Lee, we were just coming on to the next issue you 8 address in your statement, headed "Marine Accidents in 9 Hong Kong": 10 "18. According to the present regime of Mardep, all 11 marine accidents will be reported to Mardep, and 12 suitable cases are investigated by surveyors of its 13 Marine Accident Investigation Section ('MAIS'). Mardep 14 handles an average of about 400 accident cases annually, 15 of which some 30 to 40 are 'serious' cases, and about 16 10 are 'very serious' cases which involve casualties. 17 19. On 19 September 2012, Mardep issued Notice 18 No. 133 of 2012 to Mariners/Coxswains and Operators of 19 Vessels regarding a collision which occurred between a 20 high-speed passenger ferry and a motor launch when they 21 were on convergent courses within the speed restriction 22 zone 'A' in the Victoria Harbour (... file ref ...). 23 according to the investigation by MAIS, several factors 24 contributed to the accident, which included: (a) the 25 masters of the vessels not maintaining a proper</p>	<p>1 Mardep is aware of the main reasons which contributed to 2 the said collision incidents. It is suggested that 3 Mardep could consider making it a mandatory requirement 4 for passenger vessels to maintain a designated 5 look-out." 6 THE CHAIRMAN: Mr Lee, you will have heard of the 7 recommendation that Dr Armstrong has made about the 8 importance and need for the Marine Accident 9 Investigation Section to be independent of the Marine 10 Department. Is there anything you wish to say about 11 that? 12 A. Yes. First of all, I agree to this recommendation 13 because now in Mardep, their usual practice is they 14 investigate the accidents and it is involving cases of, 15 yearly, about 350 to 400 cases. And sometimes the 16 reason of the collision is that of course it's the 17 coxswain, they did not maintain a proper look-out, and 18 also they are not operating in line with the safety 19 regulations. But I think in this collision, in the 20 Lamma IV and Sea Smooth case, there may be some other 21 factors. 22 THE CHAIRMAN: It's simply the issue of whether or not the 23 accident investigation section should be independent of 24 the Marine Department that I'm inviting you to comment 25 on, if you wish.</p>

Page 57	1 A. Yes. Yes, I agree to that. Because then there is 2 another neutral, independent body to investigate and 3 then to put forward the case to the Government 4 concerned, to see whether there would be some 5 prosecution of some parties. I think that is more fair 6 to all the parties involved. 7 THE CHAIRMAN: Have you been supplied with a copy of 8 Mr Cheng Yeung-ming's statement, which has been provided 9 to us today, which addresses the issue of the 10 independence of the Marine Accident Investigation 11 Section? Have you seen this before? 12 A. I'll take some time to read this. 13 THE CHAIRMAN: So the answer is you haven't seen it before? 14 A. No, I haven't. 15 THE CHAIRMAN: Well, it is something that the Commission 16 will be receiving later, and you'll get this information 17 at that stage. 18 A. Thank you. 19 THE CHAIRMAN: So we'll move on for the moment. 20 Yes, Mr Beresford? 21 MR BERESFORD: So in conclusion, Mr Lee, you raise a number 22 of possible recommendations to address the problems 23 you've identified in your statement. Firstly: 24 "When Mardep issues Marine Notices regarding 25 maritime safety, Mardep officials should conduct	Page 59	1 offering subsidies or financial incentives to help the 2 shortage and ageing problem of coxswains and engineers. 3 (e) According to the International Convention for 4 the Safety of Life at Sea (SOLAS) 1974, a revised SOLAS 5 Chapter V (Safety of Navigation) (2000 Amendments) 6 requires automatic identification systems ('AIS'), 7 capable of providing information about the ship to other 8 ships and to coastal authorities automatically, to be 9 fitted aboard all ships of 300 gross tonnage and upwards 10 engaged on international voyages, cargo ships of 11 500 gross tonnage and upwards not engaged on 12 international voyages and passenger ships irrespective 13 of size built on or after 1 July 2002. The Government 14 could consider requiring all local passenger vessels to 15 be fitted with AIS. 16 (f) Life jackets must be readily accessible in 17 public spaces of vessels, at the muster/assembly areas, 18 on deck or in life boats, so that in the event of 19 emergency passengers need not return to the cabin to get 20 life jackets. The number of children life jackets on 21 board vessels should be increased and should not be 22 limited to 5% of the maximum carrying capacity of 23 vessels." 24 THE CHAIRMAN: Thank you. 25 MR BERESFORD: Thank you, Mr Lee. Please wait there.
Page 58	1 inspections and spot-checks of vessels to ensure that 2 they comply with the requirements stated in the Marine 3 Notices. Mardep should also ensure that the contents of 4 Marine Notices are properly and adequately communicated 5 to the operators of local vessels in Hong Kong." 6 That really goes to the question of enforcement of 7 Mardep's notices; is that right? 8 A. Sorry, could you repeat your question? 9 Q. That really goes to the question of enforcement of 10 Mardep's notices? You're suggesting that Mardep should 11 take more steps to enforce their notices? 12 A. Yes, it is desirable for Mardep to enforce -- after they 13 issue notices to coxswains or operators, they take some 14 follow-up measures. 15 Q. To follow-up, yes. Secondly, you suggest: 16 "The Government should step up its efforts in 17 promoting maritime safety. The Government could liaise 18 with local vessels companies and trade unions to help 19 bring the message of maritime safety to the front-line 20 staff and employees, and to the community as well. 21 (c) The Government could tailor-make part-time 22 courses that could accommodate the working hours of 23 coxswains and deckhands. 24 (d) The Government could encourage the younger 25 generation to join the local vessels industry by	Page 60	1 Questions by THE COMMISSION 2 THE CHAIRMAN: Mr Lee, you've set out in paragraph 3 the 3 fruits of your research into the working hours of other 4 ferry companies in Hong Kong. 5 A. Yes. 6 THE CHAIRMAN: You've described how Star Ferry and Shun Tak 7 provide meal breaks. 8 A. Yes. 9 THE CHAIRMAN: Are there provisions in the Employment 10 Ordinance of which you are aware that require employers 11 to permit their employees to have meal breaks during 12 working days? 13 A. You mean the other employers of the other operators? 14 THE CHAIRMAN: Yes. Is there a provision in the Employment 15 Ordinance that deals with or addresses the need to 16 provide meal breaks for employees? 17 A. Yes. Yes, there are no provisions in the Employment 18 Ordinance for meal breaks supplied by the employers. 19 But these two companies, Star Ferry and Shun Tak, 20 I think they adopt a more human treatment to the 21 seafarers, and they provide these meal breaks for them. 22 So you can see in the statement also, besides the 23 maritime profession, in the road transport, both KMB and 24 also the MTR provide meal breaks for the employees also. 25 THE CHAIRMAN: That's not a matter you've dealt with in

Page 61	1 paragraphs 10 through to 14, but you say that's the 2 fact, that KMB provide specifically for meal breaks for 3 their employees? 4 A. Yes. Yes. 5 THE CHAIRMAN: And the MTR? 6 A. MTR also. They provide the meal breaks, yes. But as 7 far as I know, the MTR, there is no payment for meal 8 breaks. They take the meal breaks on their own time. 9 THE CHAIRMAN: Yes. 10 Can I seek counsel's assistance. Mr Beresford, are 11 you aware of any provisions in the Employment Ordinance, 12 which is an ordinance with which I'm not familiar, as to 13 the requirement in employers to provide meal breaks for 14 employees? 15 MR BERESFORD: I must confess, Mr Chairman, it's a long time 16 since I've looked at the Employment Ordinance. I don't 17 recall any such provision, but I would have to check. 18 THE CHAIRMAN: Can any other counsel assist? 19 MR McGOWAN: I don't believe so. There was a debate about 20 meal breaks when the minimum wage legislation was being 21 discussed. 22 THE CHAIRMAN: Yes, I'm aware of that. 23 MS LOK: I do not recall any express provision in that 24 regard, but I will also need to double-check. 25 THE CHAIRMAN: Yes. Well, this is a matter that in	Page 63	1 THE CHAIRMAN: Yes, please do. 2 A. Because I forgot. Thank you, Mr Chairman. 3 The Financial Secretary, he just delivered his 4 budget proposal at the end of February and there is 5 a proposal in section 85 that he proposed to designate 6 the amount of \$100 million for the training fund for the 7 maritime and aviation training fund. In my statement, 8 I also -- in the conclusion, I recommend that it is 9 hopefully that more younger people will enrol in the 10 training course and then, after their graduation, they 11 will enter this profession, then there will be more and 12 more younger people working in the maritime profession. 13 So the recommendation is that we ask the Government 14 departments concerned to make this fund more accessible 15 for the future younger people to apply for this fund, 16 and then they will be willing to work in this 17 profession. Because nowadays, school fees and 18 examination fees may be a burden to them. So that is my 19 recommendation. 20 THE CHAIRMAN: So what you're recommending is that some of 21 this money be provided for training for seafarers, to 22 provide a pool to be recruited into the local vessel 23 operators? 24 A. Yes. Yes, Mr Chairman. Especially to the local vessels 25 profession, because, you see, there is already an
Page 62	1 particular concerns Hong Kong & Kowloon Ferry. Is there 2 anything that you have to say about that? 3 MR CHAN: No, Mr Chairman. 4 THE CHAIRMAN: You're not aware of any provision? 5 MR CHAN: As far as I'm aware -- we did double-check this 6 point after receiving Mr Lee's statement, and as far as 7 we can see, there is no provision in relation to 8 mandatory meal breaks. 9 THE CHAIRMAN: Truly extraordinary, Mr Lee. But there we 10 are. 11 A. Yes. 12 THE CHAIRMAN: Mr McGowan, do you have any application? 13 MR McGOWAN: I don't, sir. Thank you very much. 14 THE CHAIRMAN: Hong Kong & Kowloon Ferry? 15 MR CHAN: No, Mr Chairman. 16 THE CHAIRMAN: Thank you. 17 Ms Lok? 18 MS LOK: No application. 19 THE CHAIRMAN: Thank you. 20 Mr Lee, thank you very much for your assistance in 21 gathering this information together for us, and no doubt 22 reflecting your presence on so many days when we've been 23 receiving evidence in the hearing. Thank you. 24 A. Thank you. But, Mr Chairman, before I go, can I make 25 one more short recommendation?	Page 64	1 incentive scheme for the seagoing cadets, but not any 2 programme for local vessel seafarers. 3 THE CHAIRMAN: Yes, and you're asking for more of a balance? 4 A. Yes, Mr Chairman. If I may say, the Chief Executive in 5 his policy address mentioned that he is going to enhance 6 the status of Hong Kong as a shipping centre. In my 7 view, shipping centre is not only involving Hong 8 Kong-registered ships of 50-million gross tonnage or 9 60-million gross tonne, or Hong Kong is one of the top 10 10 fleet owners or not. I think one of the most 11 important factors is we have safety in our own waters. 12 That also should be addressed in promoting Hong Kong as 13 a shipping centre. 14 Thank you. 15 THE CHAIRMAN: Yes. Thank you very much, Mr Lee. 16 COMMISSIONER TANG: Mr Lee, in paragraph 15 of your 17 statement you mentioned the remuneration for local 18 vessels crew. Isn't that a factor to be considered too 19 in attracting young people to join the profession, 20 because of the conditions of service and the 21 remuneration? 22 A. Yes. Thank you, Commissioner. As I understand, this is 23 concerning the salary of the coxswains or the deckhands. 24 But we know that the fares collected by the operators is 25 limited. Because of these factors, we can't ask for

Page 65	Page 67
<p>1 higher salary as the coxswain or the master working in 2 Shun Tak, because Shun Tak Company, they are operating 3 river trade and they have received a more higher fare, 4 then they can pay about two or three times higher than 5 our local coxswains, compared with their masters. 6 But how we can attract younger people to work under 7 these conditions is that we provide them with some 8 better prospects. For example, helping them to study 9 and to get the examination, and then they will, from the 10 local vessels' coxswain, they can get the class III 11 seamen -- I mean the seagoing class III certificate. 12 Then they can choose to work in the river trade, or even 13 if they are fit to do so, they can work on ocean-going 14 vessels. Because we know that in the ocean-going vessel 15 companies, they are very in need of capable engineers 16 and officers and masters, and they are very well-paid. 17 But the fact is that younger people may be not 18 aware, fully aware, of this situation and if they have 19 some incentive scheme and promotion from the employers 20 or trade union side, then we together we can help the 21 younger people to work in this profession. And then we 22 can solve this ageing problem. 23 Because when I contacted Star Ferry and New First 24 Ferry, they said they are in need of about 80 people. 25 They are in need of 80 people -- coxswains, deckhands,</p>	<p>1 Paragraph 2: 2 "On 1 October 2012, I reported on duty at 3 06:00 hours and completed my work at 15:30 hours. At 4 21:39 hours on the same day, I was informed by the Air 5 Command and Control Centre (ACCC), GFS that there had 6 been a ferry collision off Lamma Island. I was briefed 7 that an aircraft had been deployed. I immediately 8 returned to my office and arrived at 21:46 hours in 9 order to take charge of the deployment of GFS. I also 10 informed superior Captain West Wu, the chief pilot 11 (operations) who also returned to GFS. 12 After I arrived at the base, I was briefed on the 13 situation by the operation officer in ACCC and aware of 14 3 unconscious casualties pending transfer for PYNEH by 15 R62 (commanded by Captain Victor Lau). At about 16 21:50 hours, I was informed that the casualties had been 17 picked up by R62 and would arrive at PYNEH in 5 minutes. 18 At 21:57 hours, the marine HQs informed ACCC that no 19 further assistance was required from GFS at this stage. 20 At 22:08 hours on 1 October 2012, a request was 21 received from Marine Rescue Coordination Centre of 22 Marine Department for providing night sun service for 23 searching. ACCC was told that there were 6 fireboats, 24 6 Marine Department boats and 5 Marine Police boats on 25 scene. At 22:12 hours, R31 (Captain G Dann) responded</p>
<p>Page 66</p> <p>1 engineers. Always in need of -- a shortage of the 2 manpower. 3 So we provide them with the courses and assistance, 4 and then after a certain period, they gain the 5 experience and sea-time experience, they can work in the 6 river trade and then ocean-going, and then we will have 7 enough manpower for the local and also the river trade. 8 THE CHAIRMAN: Thank you, Mr Lee. 9 A. Thank you. 10 (The witness withdrew) 11 THE CHAIRMAN: Yes, Mr Beresford. 12 MR BERESFORD: Mr Chairman, next I was proposing to read 13 Mr Evans's statement, Mr Evans being a representative of 14 the Government Flying Service. 15 THE CHAIRMAN: Thank you. 16 MR JAMES DAVID EVANS (statement read) 17 MR BERESFORD: Mr Evans gave a statement to the police on 18 1 November 2012 which is contained in our police 19 bundle I at page 1355. We have it on the screen. 20 It can be seen there that he is ex-Royal Air Force. 21 He holds the post of flight operation manager in the 22 Government Flying Service and he provides information in 23 relation to the deployment of the Government Flying 24 Service in the vessels collision incident according to 25 the Government Flying Service record.</p>	<p>Page 68</p> <p>1 to the request and arrived on scene at 22:25 hours. At 2 22:42 hours, R31 found an empty life raft at north-west 3 Lamma, which was reported to the on-scene commander. At 4 23:14 hours, R31 finished searching the eastern side of 5 Lamma and the northern coastal line but with nothing 6 found. They then provided night sun service to other 7 rescuing units until 02:05 hours on 2 October 2012. 8 At 00:40 hours on 2 October 2012, the crews of R31 9 were replayed by a new crew with callsign R51 (Captain 10 West Wu). Between 00:59 hours and 03:04 hours, R51 11 continued to provide night sun service for other 12 rescuing units and search but with nothing found. At 13 03:04 hours, R51 left the scene and was replaced by R61 14 (Captain Libby Lee) to continue the task. At 15 05:16 hours, R80 took over the task from R61. At 16 06:28 hours, R80 reported some life vests floating in 17 the vicinity and requested MRCC to pick them up. 18 At 06:45 hours, R82 replaced R80 on the 6th search 19 flight. At 07:04 hours, R80 reported an oil spill 20 drifting to the south-west of Lamma and advised R82 to 21 focus their search at the south-west side. At about 22 08:45 hours, R82 reported finding some debris in the 23 waters to the west of Lamma Island. At 08:30 hours, R86 24 replaced R82 to continue the aerial search. Between 25 08:52 hours and 09:23 hours, R86 was diverted for</p>

Page 69	Page 71
<p>1 a casualty evacuation in Cheung Chau. At 10:54 hours, 2 R86 finished the search with nothing found. 3 At 10:43 hours on 2 October 2012, I contacted the 4 senior controller of MRCC and it was agreed that the 5 aerial search would be paused until further notice. 6 However at 10:48 hours, ACCC was informed by Security 7 Bureau that the search would be continued. At 8 11:55 hours, an updated search plan basically covering 9 the southern HK waters was received from MRCC. 10 Further flights were then arranged to conduct 11 over-waters search but all with no significant result." 12 Then, Mr Chairman, he sets out the flight details in 13 seven subparagraphs that can be seen on the screen. 14 THE CHAIRMAN: Yes. There's no need to detail them. Thank 15 you very much. 16 MR BERESFORD: Thank you, Mr Chairman. 17 "At 09:42 hours on 5 October 2012, MRCC stood down 18 search operation and no more flights were required to 19 conduct search." 20 Mr Chairman, next is the question of CCS, and 21 there's a statement of Mr Zhang Yu. I'm not sure, 22 Mr Chairman, if you've actually made an order or 23 direction as to its reception? 24 THE CHAIRMAN: We'd like it read. We'll take it as 25 a witness statement that's read.</p>	<p>1 shipbuilding, ship plan approval and ship inspection 2 work for 31 years. I have experience in shipbuilding, 3 ship repair, ship conversion and ship inspection. 4 I have supervised a vast number of large vessel 5 construction and conversion inspections. 6 The Purpose of Submitting a Witness Statement. 7 3. China Classification Society received a letter 8 dated 9 January 2013 from Lo & Lo Solicitors ('9 January 9 letter'). In that letter, the Commission of Inquiry 10 into the Collision of Vessels near Lamma Island on 11 1 October 2012 ('Commission') requested CCS to provide 12 a witness statement by its authorised officer to explain 13 the followings: 14 3.1 the role played by and the exact involvement of 15 CCS in relation to the inspection, survey and 16 certification of Lamma IV; 17 3.2 the circumstances and manner in which the survey 18 was carried out which resulted in the survey report 19 (defined below); and 20 3.3 why CCS was in a position to certify that the 21 hull and main deck construction and their dimension had 22 been in compliance with the approved drawings 23 (paragraph 6 of the survey report) when there is 24 evidence that both the side and bottom plating are 25 undersized.</p>
Page 70	Page 72
<p>1 MR BERESFORD: Then I'll proceed to read it. 2 THE CHAIRMAN: Where do we find it? 3 MR BERESFORD: This is at DLA bundle 1. The translation is 4 at page 33. The Chinese is at page 2, under cover of 5 DLA Piper's letter dated 29 January 2013 at page 1. 6 THE CHAIRMAN: Very well. If you'd proceed. 7 MR ZHANG YU (statement read) 8 MR BERESFORD: Reading from the English translation at 9 page 33: 10 "I, Zhang Yu ... chief surveyor and senior engineer 11 of China Classification Society, Guangzhou branch ... 12 will state and say as follows: 13 1.1 I was born in [and that's blacked out]; 14 1.2 graduated from South China Institute of 15 Technology (now known as South China University of 16 Technology) in 1982, majoring in shipbuilding; 17 1.3 worked in Wenchong Shipyard, Guangzhou from 1982 18 to 1992 on ship design and shipbuilding techniques; 19 1.4 was transferred to the Register of Shipping of 20 the People's Republic of China, Guangzhou branch (now 21 known as China Classification Society, Guangzhou branch) 22 in 1992, and had been responsible for approving ship 23 drawings and inspection work; 24 1.5 was promoted to senior engineer in 1996. 25 2. I have been engaged in ship design,</p>	<p>1 4. When CCS surveyed Lamma IV, it was only known to 2 CCS as the 28 m aluminium launch (Cheoy Lee Yard 3 No. 4625) at that time. As the survey of the Cheoy Lee 4 Yard No. 4625 was conducted 18 years ago, the surveyor 5 in charge had already retired (now 69 years old), and 6 CCS had assigned me to investigate into this matter. 7 5. I am authorised by CCS to give this witness 8 statement on its behalf. 9 6. I hereby attach to this witness statement 10 a bundle of documents which I shall refer to in this 11 witness statement. Numbers in square brackets below 12 denote the page numbers of said bundle of documents. 13 7. The relevant survey was carried out 18 years 14 ago. I made enquiries with the surveyors of said survey 15 but they could not remember its specific details. 16 I searched the archives, but I have not been able to 17 locate any relevant documents. I shall answer the 18 Commission's questions by referring to the limited 19 documents provided by the Commission, any relevant 20 information I gathered during my investigation, the 21 relevant survey regulations applicable at that time, and 22 the general industry practices of surveying. 23 The role played by and the exact involvement of CCS 24 in relation to the inspection, survey and certification 25 of Lamma IV.</p>

Page 73	Page 75
<p>1 8. According to the 9 January letter and its 2 attachments, Cheoy Lee Shipyards Ltd ('Cheoy Lee') 3 subcontracted the construction of the hull of a 28 m 4 aluminium launch (Cheoy Lee yard No. 4625) to Wuzhou 5 Shipyard in Guangxi, the PRC ('Wuzhou Shipyard') in 6 1995. According to our investigations, at that time 7 Wuzhou Shipyard undertook to construct part of the hull 8 of the said vessel, and after its completion it was 9 transported out of Wuzhou. Wuzhou Shipyard made 10 an application to CCS, requesting CCS to conduct 11 a survey in respect of items 1 to 4, 8 in respect of 12 x-ray film examination, 9 to 11 and 13 ('CCS items') on 13 the survey items list of the Marine Department of Hong 14 Kong ('Marine Department') ... and in accordance with 15 the ship drawings (ship drawing No. NC-391) approved by 16 the Marine Department.</p> <p>17 9. After completion of the survey, surveyor 18 Mr Su Chang-tao confirmed on behalf of CCS the 19 completion of the surveying of the CCS items on the 20 survey items list, signed against the survey items list, 21 and issued a survey report on 6 September 1995."</p> <p>22 I've passed over the exhibits, Mr Chairman. The 23 survey items list is at page 1, which is at page 10 of 24 the bundle, and that of course can be compared with the 25 survey items list that we're familiar with at page 265</p>	<p>1 tests. When conducting the survey, the surveyor would 2 refer to the Rules for Shipbuilding Surveys, promulgated 3 by the Register of Shipping of the People's Republic of 4 China and effective from 15 April 1994 ('Rules for 5 Shipbuilding Surveys'), for guidance."</p> <p>6 He refers to pages 6 to 14, which are pages 17 to 23 7 of the bundle. Again these are in Chinese and I don't 8 believe we have any translation.</p> <p>9 THE CHAIRMAN: Yes.</p> <p>10 MR BERESFORD: "The content and manner of survey of CCS 11 items are as follows:</p> <p>12 12.1 Item 1, mould loft: mainly involved the 13 inspection of the mould loft floor's environmental 14 conditions, and the conformity of the projection of the 15 grating and hull lines;</p> <p>16 12.2 Item 2, hull plating materials test: confirmed 17 that the hull plating materials had the product 18 certificate issued by the American Bureau of 19 Shipping ..."</p> <p>20 THE CHAIRMAN: Just pausing there. We've never been 21 provided by anyone with that certificate, have we? The 22 Americans don't have it in their records, and Cheoy Lee 23 are unable to provide it to us as well?</p> <p>24 MR BERESFORD: As best as I can recall, Mr Chairman, we've 25 only seen the invoices for that sort of material but no</p>
Page 74	Page 76
<p>1 of marine bundle 2.</p> <p>2 THE CHAIRMAN: Yes.</p> <p>3 MR BERESFORD: And the survey report is the continuation of 4 that document at page 11 and 12 of the bundle, and which 5 compares to pages 266 and 267 in marine bundle 4.</p> <p>6 THE CHAIRMAN: And is dated 6 September 1995?</p> <p>7 MR BERESFORD: Correct, Mr Chairman.</p> <p>8 THE CHAIRMAN: Yes.</p> <p>9 MR BERESFORD: "In my attempt to locate relevant archived 10 documents, I went to the archives of CCS. However, 11 I did not manage to locate any relevant archived 12 documents. Pursuant to clause 8.4 of the 'Instructions 13 for Management of Substitution Surveys of Ships' 14 effective from 20 November 1994, the documents would 15 only be kept for 5 years for a survey of this type."</p> <p>16 He refers to pages 4 and 5, which are at pages 13 17 and 14 of the bundle. These are in Chinese.</p> <p>18 THE CHAIRMAN: Yes.</p> <p>19 MR BERESFORD: "The circumstances and manner in which the 20 survey was carried out which resulted in the Survey 21 Report.</p> <p>22 CCS accepted Wuzhou Shipyard's application, and 23 carried out a survey of the CCS items on the survey 24 items list by conducting visual inspection, verifying 25 the non-destructive testing reports, and witnessing</p>	<p>1 certificate.</p> <p>2 THE CHAIRMAN: Yes. No certificate.</p> <p>3 MR BERESFORD: "... and compared the certificate label 4 against the actual label on said materials. Relevant 5 excerpts from the Rules for Shipbuilding Surveys 6 explaining this item include clause 3.1 [page 9 of the 7 exhibit]: CCS has to 'inspect the product certificates 8 of all materials and products to be used in important 9 structures and components of the vessel, and check their 10 embossed stamps or labels'. Due to the vast amount of 11 ship plates, a surveyor could not and would not at this 12 stage of ship plate certificate inspection ascertain 13 precisely which part of the shipbuilding would a certain 14 ship plate be used, and would only compare the 15 certificates against the actual label on the plates to 16 ensure that the plates in question had valid product 17 certificates.</p> <p>18 12.3 Item 3, preparation before welding: mainly 19 involved the inspection of the shipyard's aluminium 20 alloy welding process, the qualifications of their 21 welders and non-destructive testers, as well as their 22 welding equipment, quality assurance system, et cetera. 23 Relevant excerpts from the Rules for Shipbuilding 24 Surveys explaining this item include: 25 12.3.1 Clause 2.1 [at page 8 of the exhibit]:</p>

Page 77	<p>1 'acceptability of the qualifications of the welders and 2 non-destructive testers' and the relevant requirements; 3 12.3.2 Clause 2.2: 'acceptability of the welding 4 process, technical conditions, and other important 5 processes' and the relevant requirements; 6 12.3.3 Clause 2.3: 'inspection of the raw materials 7 and welding rod management system' and the relevant 8 requirements; 9 12.4 Item 4, keel-laying: confirmed the keel-laying 10 date. 11 12.5 Item 8, hull construction survey (x-ray 12 examination): CCS's responsibility regarding this item 13 was limited to reviewing the x-ray films and the 14 non-destructive testing report, and the results had met 15 the relevant requirements. The usual practice is, after 16 the completion of hull welding but before the tightness 17 tests, the shipyard would carry out an x-ray examination 18 on the welding. The shipyard would then notify the 19 surveyor to attend the shipyard and review the x-ray 20 films and the non-destructive testing report. In order 21 to ensure that the x-ray examination and the tightness 22 test can be carried out smoothly, the surveyor would 23 usually carry out a visual inspection of the relevant 24 welds before the x-ray examination and the tightness 25 tests.</p>	Page 79	<p>1 side and bottom plating are undersized'. 2 13. First, it needs to be explained that: 3 13.1 according to the notes at the bottom of the 4 survey items list, the surveys carried out by our 5 surveyors at that stage of shipbuilding were the items 6 that were marked with an asterisk and had a survey date 7 and name of surveyor marked against them; 8 13.2 the survey report was intended to be a brief 9 description of the actual work done by our surveyors 10 pursuant to Wuzhou Shipyard's application, and the 11 results; and 12 13.3 what paragraph 6 of the survey report meant was 13 that our surveyor witnessed the measuring of the hull's 14 main dimensions. This was required by Wuzhou Shipyard 15 in order to issue a product certificate. It was 16 a widespread practice for mainland shipyards at that 17 time (please see the product certificate samples at 18 [15-16])." 19 That's pages 24 and 25 of the bundle. Again, those 20 certificates are in Chinese. I don't believe we have 21 translations. 22 THE CHAIRMAN: Thank you. 23 MR BERESFORD: "Regarding what the surveyor wrote in 24 paragraph 6 of the survey report, that 'the hull and 25 main deck construction and their dimensions have been</p>
Page 78	<p>1 12.6 Item 9, fuel oil/deep tanks hydraulic test: 2 carried out a hydraulic test in accordance with the 3 requirements stipulated in table 4.5.2(1) of the Rules 4 for Shipbuilding Surveys [at pages 11 and 12], confirmed 5 that there was no leakage in the compartments, and that 6 there was no significant deforming of the structure; 7 12.7 Item 10, fore & aft peaks leakage test: as the 8 fore & aft peaks were empty holds, they would be flooded 9 to the full load waterline, and the area above the 10 waterline would be hosed, the result of which passed the 11 leakage test; 12 12.8 Item 11, engine room flood test: as the Rules 13 for Shipbuilding Surveys had no specific requirements 14 for an engine room flood test, the requirements 15 stipulated in table 4.5.2(1) of the Rules for 16 Shipbuilding Surveys were adopted to confirm that there 17 was no leakage; and 18 12.9 Item 13, hull hose test: carried out a hose 19 test pursuant to the requirements stipulated in 20 clause 4.5 of the Rules for Shipbuilding Surveys, and 21 confirmed that there was no leakage. 22 Why CCS was in a position to certify that the hull 23 and main deck construction and their dimension had been 24 in compliance with the approved drawings (paragraph 6 of 25 the survey report) when there is evidence that both the</p>	Page 80	<p>1 inspected and found compliance with request of the 2 drawing', after confirming with our surveyor who wrote 3 the above, I understand it was to explain that the 4 measurements of the hull and the deck's main dimensions 5 (ie length, breadth and moulded depth) had conformed 6 with those marked on the ship drawings. It was not 7 referring to any measurements of shell plating or any 8 specific structural members. As a CCS jargon, 9 'dimensions' usually meant 'main dimensions', and when 10 referring to sizes (including thickness) of any specific 11 material used, the word 'scantlings' would usually be 12 used instead. At that time the main dimensions were 13 measured by the shipyard with plumb-bob, measuring tape, 14 levelling pipe and pole, and witnessed by our surveyor. 15 In sum, as noted from the survey items list, CCS had 16 finished surveying the CCS item on the survey items 17 list. The CCS items did not include the inspection of 18 the thickness of the side and bottom plating of the 19 actual hull. According to the survey items list, 20 I believe that the inspection of the thickness of the 21 side and bottom plating should be the responsibility of 22 the surveyor of the Marine Department who was 23 responsible for item 6 (shell and bulkheads) of the 24 survey items list. I consider the substitution of the 25 actual shell plating used for the vessel, and the clear</p>

Page 81	1 division of work regarding surveying responsibilities, 2 are shown in the correspondence between Cheoy Lee and 3 the Marine Department dated 4 April, 25 April, 27 April 4 1995 as provided by the Commission." 5 He refers to pages 19 to 25 of the exhibit, which 6 starts at -- in fact I think that's probably a typo, 7 Mr Chairman, because the letter dated 4 April 1995 is 8 page 17 -- 9 THE CHAIRMAN: Yes. 10 MR BERESFORD: -- page 26 of the bundle. 11 THE CHAIRMAN: Thank you. 12 MR BERESFORD: In the last paragraph, Cheoy Lee say to the 13 Marine Department: 14 "... we wish to inform you that the hull & main deck 15 are to be built at the Wuzhou Shipyard, Guangxi 16 province. As such construction will be surveyed by ZC 17 or CCS. After completion the hull will be transported 18 to Hong Kong and all GRP superstructure and outfitting 19 work will be carried out at our facilities." 20 At page 30 of the bundle, the letter dated 25 April 21 1995 from Cheoy Lee to the Director of Marine says: 22 "We also need a letter from you with a list of all 23 the items that the Marine Department needs to 24 inspect ... The aluminium hull and main deck of the 25 captioned vessel is to be built in China as indicated in	Page 83	1 THE CHAIRMAN: Yes. 2 MR CHENG YEUNG-MING (statement read) 3 MR BERESFORD: It's a statement of Mr Cheng Yeung-ming, 4 Chief Marine Accident Investigation & Shipping Security 5 Policy, Marine Accident Investigation and Shipping 6 Security Branch, Marine Department. He says: 7 "I am a principal surveyor [with] the post [as 8 I have just stated] ... I obtained a class one (steam 9 and motorship) marine engineer officer certificate of 10 competency from UK in 1988 and BSc (Honours) degree in 11 Mechanical Engineering from the University of Hong Kong. 12 Currently, I am a fellow member of the Hong Kong 13 Institution of Engineers and member of the Institute of 14 Marine Engineering, Science and Technology of UK. 15 I joined Mardep in April 1991 as a surveyor of ships. 16 I was then promoted to senior surveyor of ships in 17 November 1995 and principal surveyor of ships in June 18 2010. I have worked in the Government New Construction 19 Section, Cargo Ships Safety Section, Boiler and Pressure 20 Vessels Division of the Labour Department, Seafarers' 21 Branch, Maritime Policy Branch of Multilateral Policy 22 Division and was posted to the MAISSPB in October 2011." 23 I should say "Shipping Security Branch". He's got 24 a long acronym for that, Mr Chairman. I'm just going to 25 call it "the branch" if it comes up again.
Page 82	1 our letter of 4 April last." 2 27 April at page 31 of the bundle is a letter from 3 the Marine Department to Cheoy Lee, enclosing the survey 4 items list. It says: 5 "Please be advised that you may invite CCS's 6 surveyors to carry out surveys on those items marked 7 [with an asterisk]. However surveys of other items 8 marked 'HKMD' should be done by surveyors/ship 9 inspectors of this Department." 10 THE CHAIRMAN: Thank you. 11 MR BERESFORD: So that deals with that evidence, 12 Mr Chairman. 13 Mr Chairman, there are then three matters from the 14 Department of Justice. There's the witness statement of 15 Cheng Yeung-ming. 16 THE CHAIRMAN: Yes. He deals with the Marine Accident 17 Investigation Section? 18 MR BERESFORD: Yes. There's a notification about the 19 current position regarding prosecutions; and a letter 20 from the Department of Justice regarding Marine 21 Department Notices. 22 THE CHAIRMAN: Very well. Perhaps we could deal with the 23 witness statement first. 24 MR BERESFORD: Certainly. This is in marine bundle 13 at 25 page 5097.	Page 84	1 THE CHAIRMAN: Yes, very well. 2 MR BERESFORD: "I make this witness statement on behalf of 3 the Director of Marine, who has been granted leave to 4 participate in the hearings of the Commission of Inquiry 5 appointed pursuant to section 2 of the Commissions of 6 Inquiry Ordinance on 22 October 2012 by the ruling ... 7 made on 5 December 2012. Save where otherwise appears, 8 the facts deposed hereto are within my personal 9 knowledge or are derived from office files and records 10 and sources to which I have access, and are true to the 11 best of my knowledge, information and belief. 12 In this witness statement, I will explain the 13 structure and function of the MAIS and the 14 division/branch which it belongs, the number of 15 personnel working under this section and how the 16 officers of MAIS interact with other Mardep officers in 17 the performance of their work generally. I will also 18 set out Mardep's views on recommendation number 14 in 19 paragraph 88 of Captain Nigel Pryke's expert report 20 (part 2) dated 3 March 2013 which is, 'whether 21 consideration should be given to removing MAIS from the 22 Mardep organisation in accordance with the Code of the 23 International Standards and Recommended Practices for a 24 Safety Investigation into a Marine Casualty or Marine 25 Incident (Casualty Investigation Code), IMO resolution

Page 85	<p>1 MSC.255(84).' 2 Background of MAIS. 3 Taking note of the adoption of the Code for the 4 Investigation of Marine Casualties and Incidents in 5 November 1997 by the International Maritime Organization 6 by resolution A.849(20), Mardep established that MAIS in 7 early 1997 as a section under the Shipping Division 8 which was responsible for the safety inspection and 9 certification of ocean-going and local vessels. 10 A senior surveyor of ships and two surveyor of ships 11 posts of the nautical discipline were created for the 12 MAIS to investigate all marine accidents occurring in 13 Hong Kong and on board Hong Kong-registered ships. 14 In January 2000, the MAIS was redeployed from the 15 Shipping Division to the MPD under [the branch]. The 16 scope of investigation was also expanded in May 2007 to 17 cover also marine industrial accidents that occurred on 18 ships while working cargo or repairing in Hong Kong. 19 Current Structure of [the branch] 20 [The branch] has an establishment of a principal 21 surveyor of ships, who heads the branch and is assisted 22 by a senior surveyor of ships, three surveyors of ships, 23 and one clerical assistant. 24 [The branch]'s Relationship with other Mardep 25 officers.</p>	Page 87	<p>1 appointed to study the report. The review panel should 2 consist of experts from those divisions in Mardep that 3 do not have an interest in the incident. The only term 4 of reference for the review panel is to see whether 5 Mardep agrees with the conclusions and recommendations 6 made in the report. The review panel is not to instruct 7 or tell the investigating officer how the investigation 8 should have been carried out or how the report should 9 have been written. 10 The review panel would submit via the Deputy 11 Director of Marine its comments to the Director of 12 Marine who would make the final decision as to Mardep's 13 position in respect of the investigating officer's 14 report. If Mardep's final position involves 15 implementation of accepted recommendations, the 16 division(s) concerned would be informed of the decision 17 and would be requested to take necessary follow-up 18 actions within their respective ambits. 19 [The branch] or MAIS does not initiate prosecutions 20 to those who may have violated the provisions in law but 21 will remind the operational divisions concerned of the 22 possible contravention of the law. The divisions 23 concerned must carry out their own investigations for 24 the prosecution of offenders. 25 Recommendation of Setting Up an on Independent Body.</p>
Page 86	<p>1 [The branch] is one of the three branches under the 2 MPD in Mardep. Its main function is to carry out marine 3 accident investigations. MPD is not the regulatory and 4 administrative authorities in Mardep for ship safety and 5 for the Hong Kong port. Its main responsibilities are 6 for the development of technical policies and standards 7 and to make or amend regulations for international and 8 coastal shipping, in particular in areas of safety, 9 maritime security, seafarer and environmental 10 protection. 11 The marine accidents investigated by [the branch] 12 are impartial and independent. On receipt of 13 notification and reporting of accidents, [the branch]'s 14 officers would carry out investigation and prepare 15 report(s) independently. In the process, [the branch]'s 16 officers would have a working relationship with the 17 front-line officers of other divisions. 18 Mardep is fully aware of the importance of the 19 impartiality of [the branch] and MAIS. Under the 20 existing procedures, the investigation officer would 21 complete the investigation report and send it via the 22 senior surveyor of ships to the principal surveyor of 23 ships for endorsement before it is submitted to the 24 Deputy Director of Marine. Upon receipt of the report, 25 DD would decide whether a review panel should be</p>	Page 88	<p>1 Hong Kong is a small city and residents are able to 2 obtain information speedily from the media. Accidents 3 resulting in substantial casualties will arouse great 4 public interests and it is clear that the Government of 5 the HKSAR has the will and determination to address 6 these public concerns. In accidents resulting in 7 substantial casualties, either the Director of Marine 8 would initiate a preliminary enquiry which may help the 9 Chief Executive to appoint a Marine Court to investigate 10 and inquire into charges of incompetency or misconduct 11 on the part of masters, mates or engineers of ships 12 where considered necessary or, the Chief Executive could 13 appoint a Commission of Inquiry to investigate into the 14 incident. It is considered that with all the built-in 15 measures in hand, the independency of investigation into 16 marine accidents is ensured. The establishment of 17 an independent accident investigation board similar to 18 the United Kingdom or Australia may not be appropriate 19 for Hong Kong's situation." 20 THE CHAIRMAN: Thank you. 21 MR BERESFORD: Then, Mr Chairman, there's just an update on 22 the prosecutions, which is at marine bundle 13, items 87 23 to 87D. 87 commences at page 5073. Essentially this 24 reports that the Department of Justice is considering 25 some prosecutions. The ones they've mentioned are</p>

Page 89	Page 91
<p>1 fairly technical in nature. They're not manslaughter 2 endangering life at sea. But no final decision has been 3 made. So I don't propose to go into that in any more 4 detail. 5 THE CHAIRMAN: Just give me a moment. Yes. That, then, is 6 the position to which Mr Zervos testified at a much 7 earlier stage, or, rather, addressed the Commission at 8 a much earlier stage. 9 MR BERESFORD: Yes. 10 THE CHAIRMAN: Thank you. 11 MR BERESFORD: Then there's the matter of the Marine 12 Department Notices and the authority under which they 13 are issued, which is addressed in the Department of 14 Justice's letter at page 5071 of the same bundle. 15 THE CHAIRMAN: Yes. 16 MR BERESFORD: They respond to the questions of: 17 "(a) whether the Marine Department Notices 18 (including No. 131 of 2012) were only advisory in 19 nature; and 20 (b) whether or not there is such a power to make the 21 guidance as set out in the [notice] mandatory, or does 22 the Director need new legislation to do so." 23 THE CHAIRMAN: Yes. 24 MR BERESFORD: They say: 25 "It has been Mardep's understanding that guidance in</p>	<p>1 THE CHAIRMAN: Thank you. That was certainly my memory. 2 MR BERESFORD: Then the Department of Justice go on to say: 3 "Further, the Director may give to an owner or his 4 agent or a coxswain or other person who appears to the 5 Director to have control over a local vessel such 6 directions as he thinks fit in any particular case for 7 inter alia for ensuring the safety of the vessel in the 8 waters of Hong Kong. Such discretionary power is 9 provided in section 24(f) of the Merchant Shipping 10 (Local Vessels) Ordinance (Cap 548). Similar power is 11 provided in section 16(f) of the Shipping and Port 12 Control Ordinance (Cap 313). Whether which Ordinance 13 applies depends on the definition of the vessel covered 14 by that particular Ordinance. 15 The effect of non-compliance of the directions are 16 provided in section 68 and section 84(6) of Cap 548 and 17 sections 16A and 61 of cap 313. 18 Whilst the said provisions may be construed to mean 19 that the Director's discretionary power to issue 20 mandatory 'directions' for the safety of the vessels in 21 the waters of Hong Kong covers the imposition of safety 22 measures, it is highly doubtful if the directions can be 23 used to impose duties more onerous than those expressly 24 imposed by the statutes, particularly when the 25 directions are not necessarily gazetted. Consideration</p>
Page 90	Page 92
<p>1 the [notices] are advisory in nature, except for certain 2 matters specifically provided for by statutory 3 provisions. For example, the provisions as to the 4 regulation of traffic in relation to the fireworks 5 display in [notices] have been issued pursuant to the 6 Director's statutory power expressed in Regulation 66A 7 in part VIII of the Shipping and Port Control 8 Regulations (Cap 313A): 9 '(1) On the occasion of any fireworks display held 10 or organised in or upon any part of the waters of Hong 11 Kong, the Director may prohibit or regulate all traffic 12 upon or in the vicinity of such waters and may give to 13 any such person such directions as he thinks fit for the 14 avoidance of accidents and the safety of persons. 15 (2) Any person who fails to comply with any 16 prohibition or regulation of traffic, or direction 17 given, under paragraph (1) commits an offence and is 18 liable to a fine at level 1." 19 THE CHAIRMAN: Remind me, if you would, the Marine 20 Department Notice of 19 September of last year, did that 21 state the power under which the closure order was made? 22 MR BERESFORD: I don't believe it did. It's in 23 miscellaneous bundle, as I recall, as an attachment to 24 the document commencing at page 57. I'm informed that 25 it doesn't, Mr Chairman.</p>	<p>1 arises in two situations: 2 (1) where the statutory provisions expressly set out 3 a mandatory requirement (for example the number of life 4 jackets) but the directions are used to top up such 5 requirement over and above the statutory prescription; 6 or 7 (2) the directions are used to impose a particular 8 requirement which cannot be found in any of the statutes 9 (for example the donning of life jackets by all children 10 whilst they are on board). 11 which, without the voluntary co-operation from the 12 owner or coxswains or those in control of the vessel, 13 the directions may be susceptible to legal challenge." 14 THE CHAIRMAN: So there is a lacuna in the law if the 15 advisory notice, for example, as to children's life 16 jackets, even simply the number -- all vessels must 17 carry a child's life jacket for every child on board the 18 vessel -- that would not be enforceable? 19 MR BERESFORD: It's not enforceable. 20 THE CHAIRMAN: A lacuna in the law? 21 MR BERESFORD: Yes, Mr Chairman. 22 THE CHAIRMAN: If that is to be a desired objective. 23 MR BERESFORD: Yes. 24 THE CHAIRMAN: Thank you. 25 MR BERESFORD: Mr Chairman, there are two other matters that</p>

Page 93	Page 95
<p>1 I just might mention. 2 There's the CCTV. 3 THE CHAIRMAN: Yes. That's the CCTV from the Lamma -- 4 MR BERESFORD: Lamma Power Station pier, and I understand 5 there has been some correspondence about that, but so 6 far, nothing has been recovered. 7 MR McGOWAN: I believe it was collected and was taken to the 8 Police Technical Branch. 9 THE CHAIRMAN: I'm not looking at you, Mr McGowan. 10 Ms Lok, this is months ago that we asked for this to 11 be looked at. 12 MS LOK: May I have a moment, please, Mr Chairman. 13 Mr Chairman, I'm afraid that I will need some time 14 to get into the details. Can I suggest that we write 15 a letter to the Commission to give all the details in 16 the afternoon? 17 THE CHAIRMAN: Well, really, what we want to know is whether 18 or not anything of use to us has been found. 19 MS LOK: As I understand it so far, no. 20 THE CHAIRMAN: Thank you. 21 Mr Beresford? 22 MR BERESFORD: The last matter is a similar question 23 relating to the radar retrieval. 24 THE CHAIRMAN: Yes. Who was looking at that? 25 MR BERESFORD: That was the police, I do believe, who were</p>	<p>1 retires to consider its decision. 2 THE CHAIRMAN: We're not going to retire and do that; we're 3 going to receive submissions. 4 MR BERESFORD: Submissions, yes. Closing submissions. Any 5 other evidential matter, I should have said. 6 THE CHAIRMAN: Are there any evidential matters that any 7 counsel wishes to remind us of that we haven't dealt 8 with? 9 Mr McGowan? 10 MR McGOWAN: None that I can recollect. 11 THE CHAIRMAN: Hong Kong & Kowloon Ferry? 12 MR CHAN: Nothing from us, Mr Chairman. 13 THE CHAIRMAN: Ms Lok? 14 MS LOK: No. 15 THE CHAIRMAN: Thank you. 16 Moving forward then to the receipt of written and 17 oral submissions. Has contact been made with Coxswain 18 Lai as to whether or not he wishes to make any written 19 submission or whether or not he wants to be represented? 20 MR BERESFORD: Yes, I believe a notice has been given to 21 notify him. 22 THE CHAIRMAN: Do you have a copy of the notice to him? 23 MR BERESFORD: No, Mr Chairman; it was done by telephone. 24 THE CHAIRMAN: And he was told that he could make written 25 and oral submissions if he wished?</p>
Page 94	Page 96
<p>1 trying to see if any material could be recovered from 2 the memory. 3 THE CHAIRMAN: Ah, that's right. On Sea Smooth? 4 MR BERESFORD: Yes. 5 MR McGOWAN: I thought it was actually Lamma IV. Lamma IV's 6 radar was removed by the Police at a very early stage. 7 THE CHAIRMAN: Very well. Perhaps it's both vessels. 8 What's the position as far as that's concerned? 9 MS LOK: I must apologise, Mr Chairman. We will write 10 a letter to the Commission in the afternoon with the 11 details. 12 MR BERESFORD: I wonder if there might have been some 13 confusion between the two issues. I think probably CCTV 14 is in fact Hongkong Electric's issue. 15 THE CHAIRMAN: No, I think the Marine Police were going to 16 examine it to see if they could find something that 17 Hongkong Electric can't find. 18 MR BERESFORD: Very well. 19 THE CHAIRMAN: That's my memory. 20 MR McGOWAN: Yes. It was actually the memory they were 21 going to look at and see whether there was anything in 22 there. 23 THE CHAIRMAN: Yes. 24 MR BERESFORD: Mr Chairman, I'm not aware of any other 25 matter that needs to be dealt with before the Commission</p>	<p>1 MR BERESFORD: He was, I'm instructed, yes. 2 THE CHAIRMAN: And that oral submissions would be beginning 3 on Monday? 4 MR BERESFORD: Yes, Mr Chairman. 5 THE CHAIRMAN: Has he indicated whether he wishes to avail 6 himself of that? 7 MS ABDULLAH: He said he would have to think about it. 8 THE CHAIRMAN: Thank you. 9 What then of the other crew members on the Sea 10 Smooth? Have they been contacted? 11 MR BERESFORD: They've all been called, Mr Chairman. 12 THE CHAIRMAN: And what, if anything, is their response? 13 Are they also thinking about it? 14 MR BERESFORD: They've just acknowledged it, Mr Chairman. 15 THE CHAIRMAN: Thank you. 16 Very well. Before we adjourn, I'm going to give 17 some further directions to assist the parties to comply 18 with what it is that we seek by way of their help. 19 We would ask that counsel for the Commission provide 20 us -- all parties are to provide us with written and 21 electronic submissions, if they wish to make 22 submissions. 23 The counsel for the Commission are to provide us 24 with their submissions by 5 pm on Saturday. We ask that 25 counsel for all other parties, the involved parties, as</p>

Page 97	Page 99
<p>1 we've called them, provide us with written and 2 electronic submissions, if they wish to make 3 submissions, by 8.30 am on Monday. 4 We will then proceed to take oral submissions from 5 counsel for the Commission, to whom we have allocated 6 two hours, on Monday, beginning at 10 o'clock. And then 7 we'll follow in sequence with other counsel. 8 Certainly as far as counsel representing Hongkong 9 Electric and the crew of Lamma IV, first, after counsel 10 for the Commission; then counsel now, as it is, for Hong 11 Kong & Kowloon Ferry and Islands Ferry; then we would 12 take any submissions that are to be made by the crew of 13 Sea Smooth, or any one of them. But we're minded then 14 to permit Mr Dominic Yeung to make his submissions out 15 of order, to accommodate his other commitments, unless 16 anyone has an objection to that. 17 Then we would proceed with the other parties in 18 sequence. 19 MR MCGOWAN: If it helps, sir, my learned friend did make 20 a mistake yesterday. Mr Grossman is actually available 21 on Tuesday. I think it's just Mr Sussex who is not. 22 THE CHAIRMAN: Right. 23 MR MCGOWAN: That might give a little bit more flexibility 24 perhaps. 25 THE CHAIRMAN: We'll be hearing from Mr Grossman on Monday</p>	<p>1 I N D E X 2 DR NEVILLE ANTHONY ARMSTRONG (on former oath)1 3 Examination by MR MOK (continued)1 4 Further examination by MR BERESFORD25 5 (The witness withdrew)39 6 MR LEE KWOK-KEUNG (sworn)40 7 Examination by MR BERESFORD40 8 Questions by THE COMMISSION60 9 (The witness withdrew)66 10 MR JAMES DAVID EVANS (statement read)66 11 MR ZHANG YU (statement read)70 12 MR CHENG YEUNG-MING (statement read)83 13 14 15 16 17 18 19 20 21 22 23 24 25</p>
Page 98	
<p>1 if he wishes to address us. 2 MR MCGOWAN: Yes. Thank you. 3 THE CHAIRMAN: Are there any other matters that counsel wish 4 to raise? 5 MR BERESFORD: Not on our part, Mr Chairman. 6 MR MCGOWAN: No, thank you. 7 THE CHAIRMAN: Perhaps Ms Lok has a response to our enquiry. 8 MS LOK: Yes, I have a useful update. There are in total 9 three machines in respect of the CCTV. The first one, 10 I believe that we have provided an answer to the 11 Commission. For the second machine, it is -- 12 THE CHAIRMAN: Meaning a negative result? 13 MS LOK: Yes. Nothing helpful. 14 THE CHAIRMAN: Yes. 15 MS LOK: The second one, scanning is still in process. And 16 the third one, I'm afraid, is quite broken down and it 17 needs to be repaired before access can be gained into 18 the contents thereof. 19 THE CHAIRMAN: So for our purposes, nothing of any use? 20 MS LOK: Yes. 21 THE CHAIRMAN: Thank you. 22 Very well. We'll adjourn now and resume with 23 submissions at 10 o'clock on Monday. 24 (1.00 pm) 25 (The hearing adjourned until 10 am on Monday, 11 March 2013)</p>	